

---

TRANSCRIPT OF PROCEEDINGS

---

*The attached transcript, while an accurate recording of evidence given in the course of the hearing day, is not proofread prior to circulation and thus may contain minor errors.*

2009 VICTORIAN BUSHFIRES ROYAL COMMISSION

MELBOURNE

TUESDAY 2 FEBRUARY 2010

(98th day of hearing)

BEFORE:

THE HONOURABLE B. TEAGUE AO - Chairman

MR R. MCLEOD AM - Commissioner

MS S. PASCOE AM - Commissioner

---

CRS WORDWAVE PTY LTD - A MERRILL COMPANY.  
4/190 Queen Street, Melbourne. Telephone: 9602 1799  
Facsimile: 9642 5185

1 CHAIRMAN: Yes, Mr Rozen.

2 MR ROZEN: Commissioners, this morning the schedule has us  
3 starting with the oral submissions in relation to the  
4 Murrindindi fire. Can I indicate at the outset that  
5 counsel assisting's written submissions in relation to the  
6 Murrindindi fire are to be found at (SUBM.202.009.0001).  
7 As is the case with other fires, the written submissions  
8 are lengthy and detailed and of course there are responses  
9 to those submissions which are also lengthy and detailed.

10 It is my intention this morning to address the  
11 Commission orally in relation to five topics. The first  
12 of those is to make some general observations about the  
13 Murrindindi fire, primarily in response to matters raised  
14 in the submissions of the State. The second concerns the  
15 composition of the incident management team. The third  
16 topic that I will address concerns the appointment of the  
17 incident controller. The fourth topic is concerned with  
18 information gathering and sharing by the incident  
19 management team, and the final topic that I will address  
20 the Commission on concerns the Marysville backburn and  
21 issues of fire fighter safety that arise from the  
22 backburn.

23 Ms Richards will then address the Commission in  
24 relation to two further topics. Firstly, the topic of  
25 evacuation and particularly the issue of the evacuation of  
26 Marysville. Secondly, the issue of municipal emergency  
27 management planning.

28 Commissioners, the Murrindindi fire was first  
29 reported at 5 to 3 on the afternoon of 7 February 2009 at  
30 the Murrindindi mill. The fire ultimately caused the  
31 deaths of 40 people, destroyed some 400 houses, and the

1 entire town of Marysville was devastated by the fire. In  
2 all, 168,000 hectares of forest and private land were  
3 burned by the Murrindindi fire.

4 The initial run of the fire saw it burn in a  
5 south-easterly direction towards Narbethong and Warburton.  
6 Nearly all of the loss of life occurred between  
7 approximately 6 and 7 pm on the afternoon of 7 February  
8 2009 when the fire's direction changed as a result of the  
9 impact on the fireground of the south-westerly wind  
10 change. The fire was managed by an incident control  
11 centre at Alexandra. The control agency for the fire was  
12 the Department of Sustainability and Environment, DSE.

13 In the State of Victoria's overview at paragraph  
14 2 of its written submissions, the State submit that the  
15 fire was much bigger and faster than expected and in  
16 paragraph 4 they say that, "The Alexandra incident control  
17 centre made assumptions and predictions based on their  
18 collective experience about fire behaviour and so it took  
19 some time for the behaviour and enormity of the fire to be  
20 appreciated."

21 We make two general points in response to that.  
22 Firstly, as Mr Rush noted yesterday, the fire agencies had  
23 spent the week before 7 February 2009 telling the  
24 community quite properly what a bad day it would be and  
25 that the Premier had warned the state that it would be  
26 worse than Ash Wednesday. Counsel assisting submit that  
27 it is therefore curious that the State now says that they  
28 were surprised that the fire was worse, bigger, faster and  
29 fiercer than anything they had previously experienced.

30 In fact, the Murrindindi fire did not move that  
31 much faster than had been predicted. According to

1 operations officer Bowdern at paragraph 31 of his  
2 statement, it is said that a calculation was made that the  
3 forward rate of spread of the Murrindindi fire would be 8  
4 kilometres per hour, with a spotting distance of up to 5  
5 kilometres. In fact, the fire travelled about 11  
6 kilometres in the first hour and breached the Black Range  
7 12 kilometres from the point of origin at 4.15 pm. It is  
8 conceded that the spotting distances far exceeded the  
9 estimate of 5 kilometres.

10 The second general point that counsel assisting  
11 make in response to this submission is that the size,  
12 speed and spotting distances of the Murrindindi fire were  
13 all quickly apparent from Andy Willans' observations which  
14 were communicated to operations officer Bowdern at about 4  
15 pm from Mr Willans' reports of spotfires over the Black  
16 Range at 4 pm, from the widespread reports of spotting in  
17 Narbethong by 4.30 pm, and definitively from Mr Lawlor's  
18 aerial observations at 5 pm.

19 The second general submission that we would seek  
20 to make at this time concerns commendations for particular  
21 individuals involved in the response to the Murrindindi  
22 fire. In our written submissions at paragraph 13.25  
23 counsel assisting praise the courage and presence of mind  
24 of SES volunteers and the police in relation to the  
25 Marysville evacuation.

26 In addition, it is appropriate at this point in  
27 time to commend the bravery and self-sacrifice of  
28 firefighters. It may perhaps be unfair to single people  
29 out, but we do note at this time in particular the actions  
30 of Mike Lauder and his team in protecting the campers at  
31 the Murrindindi Scenic Reserve, the readiness of

1 Marysville CFA volunteers to leave their town and travel  
2 to the point of origin of the fire to fight it, despite  
3 their reservations in doing so. We note Mr Cobb's courage  
4 in making ground observations, and I will return to that  
5 evidence presently, and we note Mr Williamson's endurance  
6 in leading the team that cleared the road from Marysville  
7 to Buxton in the early hours of 8 February 2009.

8 We do submit, however, that firefighters on the  
9 ground were badly let down by their incident management  
10 team, an incident management team that counsel assisting  
11 submit failed to devise any real strategy for responding  
12 to the fire and failed to gather and share information  
13 that was critical to the success of the firefighters'  
14 efforts and their safety.

15 I turn then to the topic of the incident  
16 management team. In counsel assisting's written  
17 submissions at paragraphs 13.2 and 13.3 it is submitted  
18 that it is open to the Commission to find, firstly, that  
19 the Murrindindi fire incident management team demonstrated  
20 significant shortcomings in its strategic planning for and  
21 management of the Murrindindi fire and, secondly, that the  
22 incident management team that was in place at 3 pm when  
23 the fire commenced was underskilled and fell a long way  
24 short of a level 3 incident management team needed to  
25 manage a level 3 incident, particularly one such as the  
26 Murrindindi fire.

27 The State of Victoria in its written submissions  
28 takes issue with those submissions. The State says at  
29 paragraphs 176 and 178 that there were no significant  
30 shortcomings in preparation or management. The State  
31 submissions expand on these submissions at paragraphs 12

1 through to 25 in relation to pre-planning of the Alexandra  
2 incident control centre. At paragraph 16 the State  
3 submits, and I quote, "It was not planned to have a level  
4 3 incident management team in place prior to a fire  
5 starting. Rather, the planned incident management team  
6 was pre-positioned and was intended to be capable of  
7 responding to initial attack and to managing the fire  
8 during the escalation of the incident."

9 Counsel assisting note that the Alexandra ICC was  
10 on the list of pre-determined hot start incident control  
11 centres referred to yesterday by Mr Rush.

12 The approach to pre-planning described by the  
13 State of Victoria in its submissions was, it is submitted,  
14 clearly inadequate on a day that was predicted to be worse  
15 than Ash Wednesday, when first attack was the only hope of  
16 controlling a fire, as emphasised by Mr Waller in his  
17 briefing to the DSE officers, and when Mr Rees had  
18 instructed for incident control centres to be ready for a  
19 hot start.

20 At paragraphs 17 to 21 of its written  
21 submissions, the State refers to what personnel were  
22 available and unavailable to staff the incident management  
23 team. But there is a conspicuous failure to mention any  
24 of the qualified CFA staff that are listed in the  
25 north-east local mutual aid plan. The plan is at  
26 (DSE.HDD.0012.2636\_R), if this can be brought up, and if  
27 we can go to page 2740\_R, please. There is a heading  
28 there at the top of the page, "2.3 Joint IMT", incident  
29 management team: "When the grass fire danger index is  
30 above 35 or the forest fire danger index above 50, the DSE  
31 regional duty officer and the CFA coordinator will have

1 immediately available nominations for key ICS positions,  
2 primarily controllers, planning officers, resources  
3 officers, communications planning officers, operations  
4 officers and logistics officers and others where  
5 appropriate by 10 am."

6 It goes on: "Exchanging of nominations between  
7 DSE and CFA will be on an as needs basis. When either  
8 organisation has emergency commitments or ongoing fires  
9 that may affect their ability to respond or supply  
10 sufficient resources, they shall advise the other agency."

11 The State seeks to explain the omission of the  
12 CFA from their considerations in setting up the incident  
13 management team at paragraph 25 of its written submissions  
14 by saying, and I quote, "It has not been standard practice  
15 in the Murrindindi fire district to co-locate with the CFA  
16 prior to an incident. The understanding has been that  
17 each agency will maintain readiness and first attack  
18 capabilities at their respective locations. If and when a  
19 fire starts, resources and expertise can then be deployed  
20 to the most appropriate location as required."

21 Counsel assisting say that that may have been the  
22 practice and there is certainly evidence to suggest that  
23 that is the practice, although we note it is difficult to  
24 reconcile with the approach set out in the local mutual  
25 aid plan to which reference has just been made, but  
26 counsel assisting submit that it is a bad practice. It  
27 compares unfavourably with the way, for example, the Epsom  
28 incident control centre at the Redesdale fire was set up  
29 with a genuine joint IMT in place. In the submission of  
30 counsel assisting, the practice should be identified as a  
31 bad one and it should change.

1           Without labouring the point, we note that in the  
2 local mutual aid plan there were 13 level 3 accredited  
3 operations officers identified and 16 safety advisers  
4 listed in the plan. There was not a level 3 operations  
5 officer in place on 7 February at the Alexandra ICC and  
6 nor was there a safety adviser.

7           Mr Rice of the CFA is on both of those lists. He  
8 is identified as a level 3 accredited operations officer  
9 and a safety adviser and, as will be explored presently,  
10 Mr Rice was in Alexandra throughout 7 February 2009 but at  
11 no point was he called upon to fill a position in the  
12 incident control centre.

13           Counsel assisting have noted in our submissions  
14 that at the time of the outbreak of the Murrindindi fire  
15 the pre-arranged IMT at the Alexandra ICC was a long way  
16 short of a level 3 IMT. We have noted that only two of  
17 the five key members of the team were accredited at level  
18 3 and the three that did not have the appropriate  
19 accreditation for a fire of this magnitude were those who  
20 filled the crucial positions of incident controller,  
21 operations officer and deputy operations officer.

22           In these submissions we seek to refer to the most  
23 important member of the incident management team, the  
24 incident controller. It is that topic that I turn to now.

25           Counsel assisting submit at paragraphs 532 to 534  
26 of our written submissions that there should have been a  
27 level 3 incident controller in place from the outset at  
28 the Alexandra ICC. In fact, there was not a level 3  
29 incident controller in place at the ICC until the morning  
30 of 8 February 2009, 16 hours after the fire commenced and  
31 12 hours after it devastated Narbethong and Marysville.

1                   The first incident controller at Alexandra was  
2 Mr Miller, who was accredited at the time as a level 1  
3 incident controller. Mr Miller was the duty officer and  
4 filled the incident controller role in accordance with  
5 local practice and in the absence of the arrangements  
6 which counsel assisting submit are anticipated by the  
7 local mutual aid plan.

8                   Mr Miller was replaced at approximately 5.10 pm  
9 by the level 2 accredited Mr Lovick. Mr Lovick travelled  
10 to Alexandra from Merrijig. The evidence indicates that  
11 at least one highly experienced level 3 incident  
12 controller was available and based in Alexandra, a short  
13 walk from the incident control centre.

14                  Peter Rice, who the Commission heard from, is a  
15 volunteer and former career officer with the CFA with 40  
16 years firefighting experience. During the course of the  
17 hearing, counsel assisting asked witnesses why Mr Rice was  
18 not approached to perform the role of incident controller.  
19 The evidence indicates that the appointment of Mr Lovick,  
20 the second incident controller appointed for the Alexandra  
21 ICC, was made by Mr Farrell, a senior DSE officer.

22                  Mr Farrell was asked by counsel assisting why he  
23 did not consider Mr Rice, who was one of five level 3  
24 incident controllers listed as available in the readiness  
25 and response plan to which references have already been  
26 made. Mr Farrell's evidence is that was the plan that he  
27 was using to staff positions in the incident control  
28 centre. That's at transcript 8506 and I don't need that  
29 to be brought up.

30                  Mr Farrell was asked these questions and the  
31 evidence is as follows: "Did you make any further

1 inquiries about the availability of other level 3 incident  
2 controllers closer to Alexandra?---No."

3 "You now understand, do you not, that Mr Rice, Peter  
4 Rice, the group officer for the CFA in Alexandra, was in  
5 Alexandra, was available and was appropriately qualified  
6 as a level 3. Why was he not considered to be appointed  
7 incident controller for that fire?---I don't know."

8 "He could have been at the incident control centre  
9 within a matter of minutes after the decision was made,  
10 could he not?---Yes."

11 "Instead of which we wait for an hour to an hour and a  
12 half before Mr Lovick can assume his role as incident  
13 controller?---That's correct."

14 "Have you made inquiries as to why Mr Rice was not put  
15 forward as an option for you to consider?---No,  
16 I haven't."

17 In its written submissions the State now seeks to  
18 advance an argument about why Mr Rice was not appointed  
19 that was not canvassed in the evidence with either  
20 Mr Farrell or Mr Rice. The State submits at paragraph 57  
21 of its written submissions that Mr Rice was not on the  
22 list of available incident controllers that was being used  
23 by Mr Farrell.

24 The list that Mr Farrell referred to in his  
25 evidence as being the list that he was using is in  
26 evidence before the Commission and it is at  
27 (DSE.HDD.0012.2636\_R), the document that was up a moment  
28 ago, at page 2746\_R. Towards the bottom of the screen  
29 there, it is apparent that Mr Rice's name is included  
30 amongst the five level 3 incident controllers that are  
31 listed in the response and readiness plan.

1                   The State's submissions refer to evidence of  
2                   Mr Creak in support of the submission that Mr Rice was not  
3                   included on the list and this may explain the apparent  
4                   confusion in the submissions. The evidence referred to in  
5                   the State submissions of Mr Creak was evidence that he  
6                   gave in relation to the staffing of the Kilmore incident  
7                   control centre. Counsel assisting, Mr Rush, asked  
8                   Mr Creak why Mr Rice was not used to fill the incident  
9                   controller position at the Kilmore incident control centre  
10                  and Mr Creak's evidence was as follows. This is at  
11                  transcript 10897 and I don't need it to be brought up; it  
12                  is a brief quote.

13                  Mr Creak said: "The previous discussions I had  
14                  had with Mr Rice had indicated that he was not willing to  
15                  travel beyond his home location and would prefer to stay  
16                  at his home location at Alexandra, so for that reason he  
17                  wasn't available for a response outside of his own area so  
18                  he wasn't listed." When Mr Creak was asked why Mr Rice  
19                  was not appointed as the incident controller for the  
20                  Alexandra ICC he said, "I can't say exactly why not." And  
21                  he wasn't questioned by the State about that matter.

22                  Counsel assisting submit that it was never put to  
23                  either Mr Creak, Mr Farrell or indeed Mr Rice that Mr Rice  
24                  was unavailable to perform the incident controller  
25                  function at the Alexandra ICC. In those circumstances the  
26                  Commission is left to speculate on the real reason or  
27                  reasons for the failure to consider Mr Rice for the  
28                  position. It may be that it was because he was a  
29                  volunteer or because he was not from the control agency or  
30                  for some other reason.

31                  Counsel assisting submit that the absence of an

1 experienced and accredited level 3 incident controller in  
2 charge of the response to the Murrindindi fire during the  
3 afternoon of 7 February 2009 was a significant failure by  
4 the fire agencies. We maintain as set out in our written  
5 submissions that there was a disturbing lack of strategic  
6 direction provided by those at the ICC to the brave men  
7 and women on the fireground. Neither Mr Miller nor  
8 Mr Lovick were trained to fulfil the incident controller  
9 function at a fire of this magnitude.

10 Commissioners, we adopt in advance the  
11 submissions which we anticipate will be delivered later  
12 today by Ms Doyle in relation to the Churchill fire, where  
13 she examines the differences between a level 2 and level 3  
14 incident controller and identifies the evidence that  
15 indicates the importance of a level 3 incident controller  
16 at a level 3 incident.

17 Before leaving this topic we note the evidence of  
18 Mr Haynes at paragraph 172 of his second statement that  
19 there were 83 CFA endorsed level 3 incident controllers as  
20 at 7 February 2009 and the evidence of Mr Slijepcevic at  
21 paragraph 111 of his later statement that there were 15  
22 fully available accredited DSE level 3 incident  
23 controllers on the 7 February.

24 Counsel assisting submit it is a matter of great  
25 concern that not one of those 98 incident controllers was  
26 approached to be the incident controller for the  
27 Murrindindi fire on 7 February 2009.

28 If I can turn to the topic of information  
29 gathering and sharing. As already noted, at paragraphs  
30 5.35 to 5.67 of counsel assisting's written submissions we  
31 criticise the lack of strategic planning by the Alexandra

1 ICC between the time of ignition of the Murrindindi fire  
2 at 3 pm and 6.45 pm when the fire consumed Marysville.  
3 Part of the criticism identified in the submissions is  
4 that the incident management team failed to act  
5 appropriately on the information that they had about the  
6 fire and its predicted path and, secondly, that the team  
7 did not use all of the information available to it.

8 This second criticism, that is that not all of  
9 the available information was used by the team, seems to  
10 be accepted at least in part by the State of Victoria.  
11 For example, at paragraph 63 of its written submissions,  
12 the State submits that "Between 1500 and 1600", 3 pm and 4  
13 pm, "there were no reliable observations of the progress  
14 of the fire generally available to DSE or CFA."

15 This is the crucial first hour of a fire that, as  
16 is well-known, ultimately caused the deaths of 40 people.  
17 What is particularly disturbing about the submission is  
18 that during the entire period referred to, that is between  
19 3 pm and 4 pm, a DSE fire spotter, Mr Andy Willans, had a  
20 perfect view of the development of the Murrindindi fire.  
21 Mr Willans gave evidence in the proceedings that he was  
22 located on the Mount Gordon lookout tower which is three  
23 kilometres west of Marysville. Mr Bowdern, who was the  
24 operations officer at the Alexandra ICC, was asked about  
25 the view Mr Willans had of the developing fire and  
26 Mr Bowdern said that Mr Willans had "the box seat".

27 Mr Willans gave evidence in June 2009 about what  
28 he saw of this fire between 3 pm and 4.30 pm, at which  
29 time he evacuated the tower for reasons of his own safety.  
30 His description of the fire during its first half hour is  
31 at transcript 3033 starting at line 6. What

1 Mr Willans said was as follows: "That cloud mass from its  
2 infancy in that first half hour, it was huge. In that  
3 first half hour, from a tiny little trindle of smoke that  
4 I spotted and was able to give a bearing to, it grew in  
5 such incredible stature. I'd seen nothing like it. It  
6 terrified me. In the next half hour to when it breached  
7 the Black Range Road, I guess it would have doubled the  
8 amount of smoke, its height, its width. It was enormous.  
9 The following half hour until I left it was massive. It's  
10 beyond description. This thing was huge, absolutely huge.  
11 I can't explain it. And it was alive. This thing was  
12 just full of ember, ash, burning materials. This thing  
13 was absolutely alive."

14 Mr Willans also gave evidence about his views  
15 about the danger that the fire posed to Marysville and  
16 that evidence is at page 3037 of the transcript commencing  
17 at line 2. He said this about the concerns he had as  
18 early as 3.30 pm on the afternoon of 7 February: "I felt  
19 then that this thing was going to impact not only myself,  
20 my tower, my home, Marysville itself, bearing in the back  
21 of my mind these things travel at enormous speeds and the  
22 wind, the temperature of the day, were contributing  
23 factors to me making that call. Also there was a wind  
24 change called for between 1800 and 2000 hours that day.  
25 We were only at 3.30 in the afternoon. I'm facing a  
26 massive cloud like I'd never seen before. I felt then  
27 that it was going places and it was going to kill people;  
28 just my gut instinct. Marysville is a small town, it is  
29 in a hollow. They couldn't see this, I could. My call to  
30 them then was quite - I was quite - not frantic, I was  
31 quite determined to let them know that this was like

1 nothing else they've ever seen before. They had to be  
2 told."

3 It is counsel assisting's submissions that this  
4 crucial information should have been immediately conveyed  
5 to the incident management team. It would then have  
6 informed the entire response, including the provision of  
7 warnings, fire suppression and the question of evacuating  
8 Marysville. I make clear that counsel assisting make no  
9 criticism of Mr Willans for the communication failure.  
10 After being unable to contact the incident control centre,  
11 he tried unsuccessfully to contact the Marysville CFA  
12 captain. Ultimately, as detailed in our written  
13 submissions, he spoke to the Marysville CFA communications  
14 officer.

15 Mr Bowdern, the operations officer who was in  
16 charge of firefighting at the incident control centre in  
17 Alexandra, said he had no contact with Mr Willans between  
18 3 pm and 4 pm. His first contact was at 4 pm.  
19 Mr Willans told the Commission that he had tried to  
20 contact the incident control centre earlier, but the phone  
21 was engaged. That was at page 3028.

22 Between 4 pm and 5 pm, that is the second hour of  
23 the Murrindindi fire, the progress of the fire was tracked  
24 by Peter Cobb of the DSE. Mr Cobb bravely drove into  
25 dangerous locations to observe spotfires. The Commission  
26 will recall his evidence which was given with the benefit  
27 of a map that identified the location of the various  
28 spotfires that Mr Cobb identified. However, his valuable  
29 observations were also not conveyed to those in charge of  
30 the firefight at Alexandra.

31 When Mr Miller, the incident controller

1 throughout this period, was asked about Mr Cobb, his  
2 evidence was as follows and this is transcript page 8331  
3 commencing at line 4. Mr Miller was asked by counsel  
4 assisting: "Who was Mr Cobb reporting to?" Mr Miller  
5 said, "I'm not sure who he fed that information back to  
6 but I am not aware of it coming into the ICC at that  
7 stage." Counsel assisting asked: "How would it be,  
8 Mr Miller, that information, and I say as important as  
9 that concerning the fire would not end up at the Alexandra  
10 incident control centre?" Answer: "I don't know."  
11 Counsel assisting: "Is there no system to ensure it does?"  
12 Answer: "The standard arrangement is that crew leaders or  
13 sector commanders will report back through operations  
14 officers, yes." Counsel assisting: "Why didn't it happen  
15 on this day? Answer: "I don't know."

16 The detailed real-time observations of the  
17 progress of the fire by a man of 27 years of forest  
18 firefighting experience, Mr Cobb, were not conveyed to the  
19 incident control centre.

20 In response to counsel assisting's submissions  
21 about why no consideration was given by the incident  
22 control centre to the evacuation of Marysville, a point  
23 Ms Richards will return to presently, the State responds  
24 that, "The incident management team was not in a position  
25 to understand the run of fire until about 1700." That's  
26 at paragraph 169.

27 Counsel assisting submit that this is an  
28 astounding submission for the State to make. As we have  
29 noted, there was extensive information available that  
30 should have made the run of the fire very clear to those  
31 in charge. To this day the Commission has not been told

1 why that information was not conveyed to those in charge.

2 It is of concern that the State of Victoria does  
3 not agree with counsel assisting's submissions that this  
4 is a significant shortcoming in the management of the  
5 Murrindindi fire. In those circumstances we ask: Can the  
6 people of Victoria have any confidence that anything has  
7 really changed? Will there be another fire on a  
8 catastrophic day in the future where those in charge make  
9 crucial decisions such as whether to evacuate a town in an  
10 information vacuum?

11 One report that did make it through to the ICC  
12 was the report from Mr Lawlor, who flew over the fire at 5  
13 pm. He told the incident management team at 10 past 5  
14 that Marysville and Buxton would be directly in the path  
15 of the new firefront when the predicted south-westerly  
16 wind change occurred. However, this vital piece of  
17 intelligence was not provided to the man in charge of  
18 firefighting resources in Marysville, Mr Williamson. It  
19 was Mr Williamson who, and it is accepted with the best of  
20 intentions, authorised the lighting of a backburn south of  
21 Marysville 15 minutes before the main firefront devastated  
22 the town. The backburn failed because it was swallowed up  
23 by the fire when the south-westerly wind change occurred  
24 at about 6.45 pm. The final topic I wish to address  
25 concerns the backburn and questions of firefighter safety.

26 The Commission heard a good deal of evidence  
27 about a failed backburn that was lit under the direction  
28 of Mr Williamson of the DSE. Counsel assisting submit at  
29 paragraphs 628 to 644 of our written submissions that the  
30 backburn should never have been lit. We submit it was  
31 futile in the circumstances of 7 February 2009 and,

1 further, the firefighters involved were needlessly exposed  
2 to the risk of injury.

3 The State of Victoria responds at paragraphs 108  
4 to 137 with a justification of the lighting of the  
5 backburn. The State notes in its submissions that the  
6 backburn was lit at 6.30 pm in circumstances where  
7 Mr Williamson thought the wind change would arrive in  
8 approximately 45 minutes. The State says this was a  
9 crucial aspect of Mr Williamson's decision; paragraph 117.  
10 The State argues that 45 minutes was an adequate time for  
11 a backburn which could have reduced the intensity of the  
12 main fire when it impacted on Marysville.

13 Council assisting submit that the obvious  
14 difficulty with this submission is that wind changes don't  
15 arrive on schedule. The Bureau of Meteorology's wind  
16 change charts, which we are told were being relied upon by  
17 the incident management team, contain the following  
18 warning, and I quote: "Note: Timing of wind changes cannot  
19 be forecast with precision."

20 This very point is made by the State in response  
21 to counsel assisting's submissions about the evacuation of  
22 Marysville. The State says at paragraph 158 of its  
23 submissions that, "Weather predictions including wind  
24 change predictions are not always accurate." The  
25 Commission has heard evidence along similar lines. For  
26 example, Mr Jeremiah, a level 3 accredited incident  
27 controller, told the Commission in relation to the  
28 Churchill fire that his experience of wind changes is that  
29 they are not accurate to the minute.

30 Further, as counsel assisting have pointed out in  
31 our written submissions at paragraphs 3.9 and 6.37, there

1 was information available to the incident control centre  
2 that the wind change on 7 February was moving faster than  
3 initially forecast. It is submitted that the incident  
4 management team took inadequate steps to monitor those  
5 information sources. For example, it is far from clear  
6 that the Coldstream automatic weather station was being  
7 monitored and it is common ground that the incident  
8 management team did not seek a spot fire weather forecast  
9 from the bureau at any time on the afternoon of 7  
10 February.

11 The DSE men on the fireline in Marysville felt  
12 they had to act quickly to try and save Marysville. It  
13 will usually be the case that firefighters in the position  
14 of Mr Williamson and his colleagues will not be in  
15 possession of the information about the fire location and  
16 behaviour and weather predictions that an incident  
17 management team will have. It is for that reason that the  
18 DSE fire management manual contains the following advice.  
19 This is set out at 6.33 of our written submissions.  
20 Section 4.72 of the manual is concerned with backburning  
21 and burning out and it includes the following advice to  
22 firefighters: "Backburning and burning out must be  
23 thoroughly planned and properly executed. A poorly  
24 planned or poorly executed backburn will risk firefighter  
25 safety, immediately increase fire area and make fire  
26 suppression more difficult and expensive."

27 And the following appears at 4.18 of the manual:  
28 "Caution. Only after serious consideration of all  
29 alternative tactics, the consequences of any potential  
30 escapes and with direct approval of the incident  
31 controller is backburning or large scale burning out to be

1 used under very high to extreme forest danger indexes."  
2 And of course 7 February was such a day. The manual goes  
3 on: "Backburning under these conditions will most likely  
4 fail and should only be considered when conditions are  
5 such that any spotting which occurs can be controlled with  
6 the available resources."

7 The evidence indicates that, in accordance with  
8 the requirement for the incident controller to approve the  
9 backburn, Mr Williamson's subordinate contacted the  
10 incident control centre. There is some debate between the  
11 parties about precisely what occurred at the incident  
12 control centre, but we submit that one thing is clear:  
13 No-one at the incident control centre raised a concern  
14 about the effect that an earlier than forecast arrival of  
15 the wind change might have on the proposal to conduct the  
16 backburn.

17 Counsel assisting submit that in a properly  
18 staffed incident management team the incident controller  
19 would have been assisted by a trained and experienced  
20 safety adviser in responding to the backburn proposal.  
21 That safety adviser's sole concern under the fire agency  
22 standard operating procedures would have been the safety  
23 of firefighters. The Bunyip fire provides an excellent  
24 practical example of this process operating as it should.  
25 As we have noted in our written submissions on that fire,  
26 firefighters were withdrawn from the fireline at one point  
27 by the level 3 accredited incident controller on the  
28 advice of the safety adviser that he had appointed.

29 It is common ground that there was no safety  
30 adviser to participate in the discussion about the  
31 backburn, as one had not been appointed. The State says

1 in its submissions that the Commission should not be  
2 unduly concerned about this failure. It says at paragraph  
3 186 that firefighter safety was a priority for the  
4 Alexandra incident management team.

5 The backburn was lit and within 15 minutes it was  
6 overrun. In a witness statement Mr Williamson told the  
7 Royal Commission about what happened. This is at counsel  
8 assisting's submissions paragraph 6.41. Mr Williamson  
9 said this, and I quote: "I now know that if I had not made  
10 this call to evacuate and if crews had not left at this  
11 time we would have lost 60 to 70 people within 30 seconds  
12 to one minute later. Kit bags in the back of vehicles  
13 caught on fire due to ember attack and many of the DSE  
14 vehicles suffered damage to parts such as mirrors and  
15 plastic components which melted due to the intensity of  
16 the fire as the crews were driving towards the Marysville  
17 football oval."

18 The State's response to this compelling evidence  
19 is set out at paragraph 195 of its submissions. The State  
20 says this: "There is no evidence that the backburn caused  
21 unnecessary and severe risks to the safety of  
22 firefighters. The evidence overwhelmingly supports the  
23 proposition that it was the main fire which overran the  
24 backburn and threatened the firefighters in Kings Road."  
25 Counsel assisting make the simple point that it was the  
26 presence of the firefighters in the forest south of Kings  
27 Road that exposed them to the risk. It is surely  
28 irrelevant whether the flames that burnt the DSE vehicles  
29 were part of a backburn or part of the main fire.

30 The State says there was no other option to  
31 protect Marysville. Counsel assisting beg to differ. We

1 submit that a better use of the 80 or so firefighters with  
2 numerous vehicles in Marysville from 6 pm onwards would  
3 have been to warn as many residents as possible of the  
4 fate that was about to confront them and to urge those  
5 residents, with all of the authority that firefighters  
6 have, to evacuate to the oval which was recognised widely  
7 as a place of relative refuge. We note in our written  
8 submissions that there are examples of individual  
9 firefighters doing that very thing and we also note that  
10 it was with mixed success. That is, some people left on  
11 being advised to do so by firefighters, others didn't.

12 No-one who made it to the oval was harmed.  
13 Instead, as we all know from the evidence, 34 people died  
14 in Marysville on 7 February, including a number in  
15 buildings on the Kings Road, metres from where the crews  
16 involved in the backburn were situated. Once again,  
17 counsel assisting make no criticism of Mr Williamson and  
18 the other men and women on the fireground. We do  
19 criticise the lack of strategic direction that was  
20 provided to those firefighters by the members of the  
21 incident management team. We maintain our submission that  
22 inadequate consideration was given to the safety of the  
23 firefighters involved in the decision to allow the  
24 backburn to proceed.

25 In conclusion, Commissioners, these submissions  
26 commenced with the proposition that there should have been  
27 a level 3 incident controller at the ICC during the  
28 afternoon of 7 February 2009 directing the firefight. The  
29 State response to that submission is to say "it may have  
30 been preferable" to have had a level 3 incident controller  
31 in charge. That's at paragraph 179. But the State go on

1 to say that there is no evidence that the failure to have  
2 a level 3 incident controller resulted in any significant  
3 shortcomings in the incident management team's management  
4 of the Murrindindi fire.

5 In our written submissions counsel assisting  
6 point to numerous management shortcomings that can only be  
7 described as significant. Some of those have been  
8 highlighted in these oral submissions. A number, such as,  
9 one, the failure to ensure that all available information  
10 about the progress of the fire was passed on to the ICC;  
11 two, the failure to assess thoroughly the prospects of  
12 success of the backburn weighed against the risk to  
13 firefighter safety it posed; and, three, the failure to  
14 consider the evacuation of the town of Marysville, can  
15 only be described as serious errors in fire management.

16 In those circumstances it is necessary to ask why  
17 such mismanagement occurred and whether all of these  
18 shortcomings would have existed under the leadership of an  
19 incident controller with the proven skills, training and  
20 experience that characterise an accredited level 3  
21 incident controller.

22 They are the submissions that I seek to make at  
23 this time and Ms Richards will now continue with  
24 submissions in relation to the Murrindindi fire.

25 CHAIRMAN: Thank you, Mr Rozen.

26 MS RICHARDS: Commissioners, I am going to deal this morning  
27 in oral submissions with the topic of evacuation,  
28 specifically the evacuation of Marysville, and the related  
29 topic of emergency management and more particularly  
30 municipal emergency management planning.

31 The subject of the evacuation of those in the

1 path of the Murrindindi fire, in particular the evacuation  
2 of Marysville, is dealt with in considerable detail in the  
3 written submissions of counsel assisting commencing at  
4 paragraph 9.1. That discussion follows closely from the  
5 related topics of emergency management and warnings.

6 I think it would be useful if I go to the key  
7 findings that counsel assisting say should be made based  
8 on the evidence about evacuation in the face of the  
9 Murrindindi fire and these start at page 79 of the  
10 submissions. Perhaps we could get those up on the screen.

11 The first key finding that's proposed is that  
12 many residents of Marysville and Buxton were able to  
13 evacuate safely. This was not due to municipal emergency  
14 management planning or to any decision taken by the  
15 incident controller to recommend evacuation. There was  
16 ample information available to the incident management  
17 team as to the location, speed and ferocity of the fire  
18 and, as Mr Rozen has pointed out, it should have been  
19 clear by 4 o'clock in the afternoon that Marysville was  
20 under threat after the forecast wind change.

21 If anyone in the incident management team had  
22 turned their mind to it, information could have been  
23 sought from Mr Lawlor, the air attack supervisor, as to  
24 the safety of possible evacuation routes from Marysville.  
25 Had a decision to recommend evacuation been made by 1630  
26 or even 1700, the evacuation of those who wished to leave  
27 could have been effected more systematically and more  
28 safely than was possible as the fire bore down on the  
29 town.

30 Yet evidence also demonstrated that it was only  
31 the Marysville SES unit who had planned for the need to

1 evacuate Marysville and who implemented their plan to  
2 provide assistance to aged and infirm residents on Black  
3 Saturday. The police who directed those gathered on the  
4 oval to drive in convoy to Alexandra had to make snap  
5 judgments on very limited information in the absence of  
6 any fire agency presence at Gallipoli Park. The judgments  
7 that they made in those pressing circumstances, in the  
8 submission of counsel assisting, were sound. The courage  
9 and presence of mind of the police and the SES volunteers  
10 involved in evacuating Marysville and Buxton should, in  
11 our submission, be commended.

12 Counsel assisting also propose related key  
13 findings in relation to emergency management and these  
14 appear starting at page 77 of the written submissions.  
15 The first key finding in relation to evacuation is that  
16 the emergency management planning in place for Murrindindi  
17 shire lacked the substance, detail and precision needed to  
18 respond adequately to the events of 7 February 2009.  
19 Specifically, and I will skip to paragraph (b) as this  
20 relates to evacuation, the Murrindindi municipal emergency  
21 management plan did not include any plan for the  
22 evacuation of Marysville or any other township in the  
23 municipality.

24 Emergency management planning did not include  
25 detailed planning for the evacuation of locations  
26 identified to be at risk of bushfire that made reference  
27 to any of the following matters: The particular location,  
28 the surrounding topography, the roads on which evacuation  
29 might take place, the size and the make-up of the  
30 population, any vulnerable members of the community who  
31 need assistance to evacuate, any particularly vulnerable

1 sites such as schools and hospitals, any places of refuge  
2 and possible emergency relief centres.

3 It follows that local emergency management  
4 planning also failed to identify who would take what  
5 action to effect an evacuation and triggers for that  
6 action. The municipal emergency management plan did no  
7 more than repeat the general delineation of  
8 responsibilities for evacuation set out in the State  
9 emergency response plan. It should have included enough  
10 detail to give those responsible for effecting an  
11 evacuation a framework for decision and action.

12 So those are the key findings proposed by counsel  
13 assisting, but to return to the basis on which those  
14 findings are put forward. Anyone viewing the scenes of  
15 devastation in Marysville after Black Saturday, and by now  
16 most of us have seen many times the footage produced by  
17 Mr Hull of what remained of Marysville the following  
18 morning. Anyone viewing those scenes should be in no  
19 doubt that Marysville was a town that needed to be  
20 evacuated in advance of the fire. It is folly to suggest  
21 that all of the residents of Marysville should have stayed  
22 put and sheltered in their houses as the fire approached.  
23 There was no designated refuge in Marysville, although as  
24 we know there was an informal, widely known refuge at  
25 Gallipoli Oval.

26 The Commission has heard from many residents of  
27 Marysville who stayed to defend their homes, only to have  
28 their homes burned to the ground and their lives put at  
29 grave risk. As Mr Rozen has mentioned, 34 people died in  
30 Marysville that evening. The Commission has examined the  
31 circumstances of the deaths of each of those people and

1 the Commission is well aware that most of those people  
2 died in or near houses. Only the extremely well prepared  
3 and the extremely lucky were able to save their homes in  
4 the face of the firestorm that swept through that town.  
5 To compound matters, Marysville's water supply, which was  
6 a very reliable, plentiful, gravity-fed water supply, was  
7 unable to meet the demands placed on it on Black Saturday,  
8 leaving many residents without water to fight the fire.

9 In the event, much of Marysville did evacuate  
10 safely from their homes and from the town, driving north  
11 through Buxton and then to Alexandra. They did this at a  
12 time when the fire was already burning and when, according  
13 to CFA orthodoxy, it was too dangerous for them to leave  
14 and they should have stayed in their houses, regardless at  
15 that time of their level of preparation.

16 Counsel assisting's written submissions go into  
17 considerable detail about the way in which this evacuation  
18 was effected, precisely because it occurred contrary to  
19 the accepted policy that evacuation during a bushfire  
20 should not take place and yet, as we know, hundreds of  
21 people were evacuated to safety. The evidence shows that  
22 many people left the town of their own accord, while  
23 others gathered at the Gallipoli Oval.

24 The local SES, alone of all of the emergency  
25 services, had formulated some kind of plan for evacuating  
26 vulnerable residents, putting together a list of elderly  
27 residents and others who might need assistance to leave  
28 town. They implemented that plan starting at 5 o'clock in  
29 the afternoon, having heard reports over the CFA radio  
30 that the fire had reached Narbethong.

31 Those who had gathered at the oval were directed

1 by police to drive north to Alexandra through Buxton,  
2 leaving shortly before 7 o'clock just as the fire reached  
3 the town. The police involved in this action made a rapid  
4 risk assessment based on very limited information that was  
5 available to them and judged it safer to evacuate the oval  
6 than to remain there. They made their decision at a time  
7 when there was not one fire truck at the oval to protect  
8 those who had gathered there. As we know, the convoy  
9 escorted by police and SES personnel reached Alexandra  
10 safely.

11 The State's submissions on this topic of  
12 evacuation are revealing. They just avoid the issue  
13 altogether. They concentrate first on the initial warning  
14 from Andy Willans on the Mount Gordon fire tower, telling  
15 Glen Fiske, captain of the Marysville CFA, that he should  
16 evacuate Marysville and, second, on answering submissions  
17 that the incident controllers did not consider evacuating  
18 Marysville. The response proffered is in essence that  
19 both Mr Fiske and the incident controllers acted in  
20 accordance with CFA policy and accordingly should not be  
21 criticised for their actions. Otherwise, the State makes  
22 no response at all to counsel assisting's factual account  
23 of the evacuation of Marysville, and yet later on in its  
24 written submissions suggests that the key findings  
25 proposed in relation to evacuation should not be made.

26 In relation to the CFA's policy of not  
27 recommending evacuation when a fire is burning, the State  
28 mostly reiterates the submissions it made on evacuation  
29 for the interim report. There is no real attempt to  
30 grapple with whether that policy stands up to scrutiny,  
31 with whether the policy served the town of Marysville

1 well. The State says in its written submissions that it  
2 is unable to agree with the general proposition advanced  
3 earlier by counsel assisting in relation to the interim  
4 record that safe evacuation may be possible when a fire is  
5 burning. It follows from that submission of the State  
6 that its position must be that safe evacuation is never  
7 possible when a fire is burning and that position is  
8 self-evidently wrong. The position belies a  
9 one-size-fits-all, lowest common denominator policy that,  
10 because safe evacuation may not be possible in all cases,  
11 it will never be recommended.

12 Counsel assisting's submission in relation to  
13 evacuation is, as it was when we made submissions in  
14 relation to the interim report, that while late evacuation  
15 may be extremely dangerous, safe evacuation may be  
16 possible when a fire is already burning. Whether safe  
17 evacuation is possible will depend on a wide range of  
18 matters: The characteristics of the particular location  
19 under threat; the roads that service that location; the  
20 speed, intensity and path of the fire; the weather  
21 conditions, including of course any predicted wind change.  
22 These are all matters that should be within the knowledge  
23 of the incident controller and the incident management  
24 team, who are in the best place to assess that information  
25 and to determine whether evacuation may be recommended in  
26 that case.

27 All of this was accepted by the Commission in the  
28 interim report and resulted in recommendation 6.3 that the  
29 CFA and DSE amend operational policies to require the  
30 incident controller to assess whether relocation should  
31 occur and to recommend relocation when warranted.

1                   The Commission made it clear in its interim  
2 report that it was not speaking of compulsory evacuation,  
3 simply warning and advice to people in the path of the  
4 fire that they were in danger and that they should leave  
5 unless they were ready and willing to stay and defend  
6 their home. The Commission anticipated that advice to  
7 evacuate or relocate should in the first instance be  
8 delivered with bushfire warnings. Police would continue  
9 to be responsible for effecting evacuation or relocation  
10 and at times would need to deliver advice to specific  
11 locations, possibly even going door-to-door.

12                   In its response to the interim report the State  
13 supported this recommendation, noting that guidelines  
14 would be developed to assist incident controllers and  
15 emergency services personnel and, understandably, that  
16 relocation recommendations would only be made where the  
17 incident controller determines and is fully satisfied that  
18 people can relocate safely.

19                   Its submissions on evacuation in response to the  
20 Murrindindi fire appear to contradict this position in its  
21 response to the interim report, in particular the  
22 statement at paragraph 158.1 of its written submissions  
23 that, "Whilst there is scope for including in warnings a  
24 recommendation that people leave an area immediately, it  
25 is not appropriate for incident controllers and control  
26 agencies to make specific recommendations about  
27 evacuations." Perhaps counsel for the State can clarify  
28 their client's position on this very important issue.

29                   To return to the specific circumstances of the  
30 evacuation of Marysville, what stands out is that the  
31 evacuation was effected by local planning and action on

1 the part of the Marysville SES and by snap judgments made  
2 by police on the Gallipoli Oval and of course by people  
3 who made their own decision that it was time to leave. It  
4 was not the result of emergency management planning at  
5 either state or municipal level or any decision made by  
6 the incident controller to recommend evacuation.

7 In counsel assisting's submission there was  
8 sufficient information available to the incident  
9 management team at Alexandra by 5 o'clock at the very  
10 latest on which it could have recommended the evacuation  
11 of Marysville. It was at that time that the Marysville  
12 SES, with much more limited information than was available  
13 to the IMT, decided to act and to evacuate vulnerable  
14 residents.

15 It must be pointed out that evacuation  
16 recommended at that time would have been able to be  
17 effected more systematically and more safely than the  
18 random doorknocks and hastily arranged convoy that left  
19 the oval as the fire bore down on the town. But,  
20 consistent with the then policy of the fire agencies,  
21 perhaps still their policy, neither of the incident  
22 controllers considered recommending evacuation.

23 What the Marysville experience does highlight is  
24 that local planning, even on a small scale, can work. It  
25 also shows up a big hole in local emergency management  
26 planning. The Shire of Murrindindi's municipal emergency  
27 management plan had very little to say about evacuation.  
28 It says this: "Victoria Police are responsible for  
29 evacuation. The decision to evacuate rests with the  
30 combat agency in conjunction with the police and available  
31 expert advice." So far that simply restates what is in

1 the state emergency response plan. "Consideration must be  
2 given to the area which is to be evacuated, the route to  
3 be followed, the means of transport and the location to  
4 which evacuees will be asked to attend." It then goes on  
5 to identify the responsibilities of the Murrindindi shire  
6 in relation to providing emergency relief centres.

7 The CFA and the DSE are identified as the control  
8 or combat agency for fire, CFA for urban and rural fires  
9 and the DSE for forest fires. Beyond that, there is very  
10 little or nothing that goes further than basic principles  
11 of responsibility for evacuation that are found in the  
12 State emergency response plan. The only local content  
13 that we find in Murrindindi's municipal emergency  
14 management plan is the location of emergency relief  
15 centres and the identification of some locations such as  
16 schools, camps, hospitals, nursing homes and industrial  
17 sites, which have their own special evacuation plans.

18 The Municipal Association of Victoria is quick to  
19 point out in its submissions that the Murrindindi  
20 municipal emergency management plan was compliant with the  
21 requirements of the Emergency Management Act and the  
22 guidelines for the preparation of municipal emergency  
23 management plans found in the Emergency Management Manual  
24 Victoria, and that's true. The Murrindindi municipal  
25 emergency management plan has been certified by the  
26 director of the SES as complying with the guidelines for  
27 preparation of municipal emergency management plans.  
28 Hence, we find that the MEMP of other councils that are in  
29 evidence before the Commission deal with evacuation in a  
30 broadly similar way to that of the Murrindindi municipal  
31 emergency management plan.

1                   Clearly it would have been immensely useful had  
2                   the Murrindindi municipal emergency management planning  
3                   committee engaged in detailed evacuation planning in the  
4                   manner outlined in counsel assisting's submissions. For  
5                   example, if they had planned how to use the list of  
6                   disabled and elderly residents needing special  
7                   consideration that was maintained by council under the  
8                   plan, the list might have been used on 7 February to warn  
9                   and evacuate those residents. As we know, it was not.

10                   It must be said that councils are under a very  
11                   significant burden placed on them by a wide range of  
12                   legislation, including, among many, the Emergency  
13                   Management Act. The Commissioners are by now well aware  
14                   of the burden that is placed on councils to respond with  
15                   limited resources. It is perhaps expecting too much for a  
16                   council to do more in municipal emergency management  
17                   planning than the minimum required of it and that directs  
18                   attention to the guidelines themselves.

19                   The guidelines are found in chapter 6 of the  
20                   Emergency Management Manual of Victoria and they are quite  
21                   lengthy. I don't propose to go to them this morning, but  
22                   it must be said that in respect of the response  
23                   arrangements to be included in a municipal emergency  
24                   management plan, they are extremely general. The  
25                   guidelines outline what should be included in relation to  
26                   response arrangements and say that control and support  
27                   agencies should be identified and local arrangements for  
28                   response to identified emergencies should be detailed.  
29                   There is no further requirement for the municipal  
30                   emergency management planning to give attention to what  
31                   those local arrangements should be.

1                   There is clearly scope for including detailed  
2                   evacuation planning in a municipal emergency management  
3                   plan in detailing the local arrangements for responding to  
4                   identified emergencies, but while the guidelines remain as  
5                   general as they are we cannot expect councils to undertake  
6                   that work.

7                   The Municipal Association submits that detailed  
8                   planning of the kind suggested by counsel assisting could  
9                   be considered by the Commission, but also submits that it  
10                  is not appropriate for responsibility for that planning to  
11                  rest with councils. The Municipal Association goes on to  
12                  submit that the appropriate agency to take on that  
13                  responsibility would be the Victoria Police.

14                  In the submission of counsel assisting, the  
15                  municipal emergency management planning committee, an  
16                  established body that brings together local emergency  
17                  services personnel and council staff, is the obvious place  
18                  for this kind of planning to occur. The best place for a  
19                  detailed evacuation plan is in the municipal emergency  
20                  management plan. While Victoria Police are responsible  
21                  for implementing any decision to evacuate, the decision  
22                  itself rests with the control agency and its successful  
23                  implementation in a given location will require a  
24                  multi-agency plan.

25                  In our submission, the experience in Marysville  
26                  highlights a need for emergency management planning to  
27                  include detailed planning for the evacuation of locations  
28                  identified to be at risk of bushfire. This planning  
29                  should include reference to the particular location, the  
30                  surrounding topography, the roads on which evacuation  
31                  might take place, the size and nature of its population,

1 any vulnerable members of the community who need  
2 assistance to evacuate, any particularly vulnerable sites  
3 such as schools or hospitals, any place of refuge and  
4 possible emergency relief centres. The planning should  
5 identify who will take what action and triggers for that  
6 action. If possible, the plan should be rehearsed by  
7 those responsible for enacting it and the plan should be  
8 detailed so that, in responding to an emergency, those  
9 responsible have a framework for decision making and  
10 action.

11 This is an issue that has emerged very clearly,  
12 in our submission, from the evidence in relation to the  
13 Murrindindi fire and the evacuation of Marysville and it  
14 is an issue to which counsel assisting will be returning  
15 later in the hearings. Attempts are being made at present  
16 to arrange for some evidence from Calfire about how  
17 evacuation is planned and effected in the State of  
18 California.

19 Commissioners, unless there are any questions  
20 that concludes the oral submissions I have in relation to  
21 the Murrindindi fire.

22 CHAIRMAN: Thank you, Ms Richards.

23 MR MYERS: Commissioners, I should like to say a few things by  
24 way of response to the oral submissions that have been  
25 made this morning.

26 First of all, the written submissions on behalf  
27 of the State are detailed and grapple in a careful and  
28 considered way with the issues that arise out of the  
29 Murrindindi fire and in general I don't wish to go to them  
30 but simply to commend them to the members of the  
31 Commission.

1 Ms Richards said on quite a few occasions in her  
2 submissions a few moments ago "it must be said". Now, in  
3 fact most of what was said by Mr Rozen and Ms Richards  
4 didn't need to be said and shouldn't have been said. For  
5 the most part it was irresponsible and sensationalist,  
6 adversarial, pointless and damaging.

7 The first thing that ought to be recalled about  
8 the Murrindindi fire is, as Mr Willans who had a perfect  
9 view of it described it, it was unprecedented, terrifying,  
10 massive, beyond description, growing enormously and so on.

11 It is not at all curious, as suggested by  
12 Mr Rozen, that in those circumstances decisions were made  
13 in the heat of the circumstances that existed that are  
14 able to be criticised in a hypothetical way after the  
15 event. There are many things that happened which are  
16 regrettable, but that doesn't mean that someone has to be  
17 found to be at fault. The fact of it is that the fire in  
18 Murrindindi was a fire in which one could exhaust the  
19 thesaurus of adjectives in describing its almost  
20 indescribable ferocity.

21 The general response of the firefighting services  
22 in Victoria on 7 February was good beyond the expectations  
23 that one could have in the circumstances of that day. For  
24 example, yesterday one heard about Coleraine and Weerite.  
25 The circumstances of Murrindindi are not the same as the  
26 circumstances of Coleraine and Weerite. They weren't  
27 grass fires in relatively unpopulated areas.

28 We urge the Commission not to be inflamed by the  
29 sorts of submissions that were made this morning. They  
30 will not help in dealing with these issues in the future  
31 and nor will they help ease the minds of those who

1 suffered loss of family, friends or property on  
2 7 February.

3 In fact, quite apart from that, it's wrong to  
4 say, as was put by Mr Rozen, that the people of Victoria  
5 were badly let down by the incident management team, that  
6 it was clearly inadequate. The fact of it is that the  
7 persons who were required to deal with the Murrindindi  
8 fire were required to deal with circumstances that no-one  
9 expected. Of course a terrible day was expected, but not  
10 of the kind that the people responsible for suppressing  
11 the fire at Murrindindi faced.

12 We maintain our submission that particular  
13 individuals should not be mentioned adversely. No good  
14 purpose is served by that.

15 There are two particular matters that I wish to  
16 mention. There was some criticism, one gathers, of why it  
17 was that Mr Rice was not asked to be the person in charge  
18 of the management of the fire. Mr Rice came along and  
19 gave evidence. He was never asked any questions by  
20 counsel assisting dealing with that topic. Indeed, no-one  
21 was.

22 We wouldn't have to leave the matter to  
23 speculation if the witnesses had been properly examined,  
24 but speculation of course in these circumstances is a  
25 little easier than dealing with the facts. The fact that  
26 there were many people within Victoria who might have been  
27 qualified to be in charge of the firefighting efforts in  
28 relation to the Murrindindi fire is really not to the  
29 point. It's only the persons who were there and available  
30 who could have been considered

31 Concerning information gathering and sharing,

1 which was another topic dealt with by Mr Rozen, there are  
2 just a couple of particular things that I wish to point  
3 out. For whatever reason, Mr Willans didn't convey the  
4 information that he had to the incident management team,  
5 and that's the fact. It may have been better if it had  
6 been conveyed to the incident management team, but it  
7 wasn't.

8 The rhetorical question asked by Mr Rozen - can  
9 the people of Victoria have any confidence that anything  
10 has changed in the light of issues concerning information  
11 gathering and sharing - is risible. A great deal has  
12 changed. The State has acted diligently and responsibly  
13 to undertake steps to implement the recommendations made  
14 by this Commission in its interim report and to do many  
15 other things to protect this state and its citizens and  
16 their property against fire.

17 The answer to the question is, yes, the people of  
18 Victoria can have confidence that a great deal has been  
19 done and much has changed as a result of 7 February last  
20 year. The irresponsible implication of that question is  
21 rejected.

22 As to the matter of the backburn, well,  
23 apparently with the benefit of hindsight counsel assisting  
24 are able to tell the Commission by reference to footnotes  
25 in the Bureau of Meteorology reports and other documents  
26 that it shouldn't have been done. We don't accept that.  
27 The circumstances were desperate and persons who were  
28 acting responsibly, in good faith made decisions in order  
29 to attempt to protect Marysville.

30 The fact that the steps were not successful in  
31 one sense only is neither here nor there. It would have

1           been better if they were successful of course. But the  
2           fact that they were not successful doesn't mean that those  
3           persons who made that decision are to be criticised or  
4           those who were responsible in the incident control centre  
5           are to be criticised.

6                     One thing again that's absent in the evidence and  
7           enables speculation of the kind that was undertaken this  
8           morning by Mr Rozen is this: no level 3 incident  
9           controller was asked about what he or she would have done  
10          in the circumstances which have been the subject of  
11          speculation this morning; a gap in the evidence that  
12          permits speculation; mischievous speculation.

13                    As to Ms Richards further submissions concerning  
14          evacuation, we have dealt with the question of evacuation  
15          directly and fairly in our written submissions. There's  
16          nothing to add to those.

17                    We invite the Commission not to criticise those  
18          who decided that it was not safe, it was better not to  
19          evacuate from Marysville. Decisions have to be made in  
20          these circumstances which, with the benefit of hindsight,  
21          may or may not be right. The only test is whether the  
22          persons acted in good faith and reasonably, and everyone  
23          involved in this matter did.

24                    I'm sorry that I have had to speak in this way.  
25          It's most regrettable. But the submissions this morning  
26          call for a firm response. The suggestion the State has  
27          not done anything as a result of which the people of  
28          Victoria can have confidence that things have changed in  
29          relation to the suppression of bushfires and the  
30          protection of the people of Victoria and their property is  
31          simply without foundation. If the Commission pleases.

1 CHAIRMAN: Yes, Dr Lyon.

2 DR LYON: Thank you, Mr Chairman. I can start by saying that  
3 the oral submissions of Ms Richards today certainly  
4 recognise that the issues between counsel assisting and  
5 the local government and the MAV were comprehensively  
6 raised and responded to in the written submissions. So  
7 that means I can be very brief.

8 CHAIRMAN: Yes, thank you.

9 DR LYON: There are two points to make. The first is this. It  
10 is regrettable, it is unfortunate that the issue of  
11 emergency management and evacuation so far as it concerns  
12 the content of the MEMP was not raised in oral evidence  
13 nor was it raised in the issues for consideration in the  
14 statements of the local government witness Ian Ellett. So  
15 that means the Commission did not have the benefit of  
16 evidence on the topic or the views of local government as  
17 to whether, how or where evacuation procedures should  
18 appear and whether they should appear in the MEMPs or  
19 somewhere else.

20 It is also unfortunate that it wasn't raised as  
21 an issue until we read the submissions of counsel  
22 assisting. So that means that in response we are somewhat  
23 hamstrung.

24 But the two points raised by Ms Richards require  
25 some response today, and that is: should the guidelines to  
26 the emergency management manual of Victoria be amended?  
27 The guidelines are promulgated by the police minister, and  
28 of course in our submissions we point out that the  
29 appropriate agency for conducting evacuations, as pointed  
30 out in the EMMV, is the Victoria Police and the role  
31 played by councils is a limited role. We certainly

1 appreciate the recognition this morning of the burden  
2 councils have in emergency planning and response in the  
3 words of Ms Richards.

4 If the police are the appropriate agency to  
5 conduct evacuation and if it is also recognised that the  
6 MEMP, the municipal emergency management plan, is not a  
7 blueprint for all agencies and all levels of government,  
8 then the query is raised: is the MEMP actually the  
9 appropriate place in which to put comprehensive evacuation  
10 procedures?

11 We raise the possibility that with township  
12 protection plans being promulgated through the State  
13 whether or not, given the input of so many agencies and  
14 the more public nature of that document, the TTP is not a  
15 more appropriate place for such procedures.

16 Councils do recognise that they have a role in  
17 emergency planning and response. That was taken up in our  
18 submissions. But in terms of achieving the most effective  
19 outcome for the people of Victoria we ask that the  
20 submissions of counsel assisting and the proposed key  
21 findings not be made in a way that's critical of councils  
22 but take up whether there is a more appropriate place by  
23 which this outcome can be achieved.

24 CHAIRMAN: Yes, thank you, Dr Lyon.

25 MR MYERS: Before my learned friend speaks, I should just like  
26 to say one thing, Commissioners. It may be suggested that  
27 something I said about Mr Rice is incorrect. On page 8526  
28 of the transcript Mr Rush was examining Mr Rice and he  
29 asked whether consideration was "given to you actually  
30 becoming the incident controller of the Murrindindi  
31 fire?---No, it was not discussed."

1 "Did you at any stage consider that possibility?---No.  
2 Incident controllers within the north-east of Victoria  
3 have traditionally always been appointed, and it is not a  
4 sort of situation where someone, even though they may have  
5 the qualifications or the accreditation - you just don't  
6 walk in and say, 'Hello, I'm Peter Rice. I'm here to take  
7 over as the incident controller.' It is not the way it has  
8 happened over the years. Also the north-east had a  
9 preplanned level 3 incident management team roster planned  
10 for 7 February. I wasn't on the roster for that  
11 particular day. A copy of that had been emailed to me a  
12 day or so earlier, and I was aware that I wasn't on it.  
13 So it wasn't discussed, and I felt that that decision  
14 would be getting made elsewhere."

15 I wanted to make sure that I draw that to your  
16 attention in case it's said that I misled you. Thank you.

17 MR RUSH: Unfortunately, Commissioners, that's not of course  
18 the only point where it might be said that Mr Myers failed  
19 to address the evidence concerning Mr Rice, because it was  
20 raised with Mr Farrell, Mr Creak and I think Mr Miller.

21 It is regrettable, as my learned friend said,  
22 that he had to use the terminology which he did. Counsel  
23 assisting have a difficult enough job without the State of  
24 Victoria indicating by submission this morning in the way  
25 in which Mr Myers put forward those submissions matters  
26 that do concern the evidence and are fairly addressed on  
27 the evidence by counsel assisting.

28 Counsel assisting opened indicating that where  
29 matters were good they would be identified as they have  
30 been; where matters are bad they would be identified as  
31 they have been. It is all very well for Mr Myers to refer

1 to Coleraine or to the Weerite fires. They were  
2 identified by counsel assisting as being fires that were  
3 excellently handled, excellently prepared.

4 What Mr Myers has failed to grapple with in any  
5 of his responses is what was raised here; that in  
6 north-east Victoria, both at Kilmore and at Alexandra,  
7 there was no preparation for an incident control centre  
8 based on level 3 which the CFA indicated at the very  
9 outset on 6 February the level 3 would be in place at both  
10 Alexandra and at Kilmore.

11 Counsel assisting have done no more than address  
12 what is required of this Royal Commission in the terms of  
13 reference. It is necessary in response to Mr Myers to  
14 point out the terms of reference because it would appear  
15 that he has not read them recently.

16 Terms of reference 1 require the Royal Commission  
17 to investigate the causes and circumstances of bushfires  
18 which burned in various parts of Victoria in late January  
19 and February 2009; 2, and importantly, to inquire into the  
20 preparation and planning by governments, emergency  
21 services, other entities, the community and households for  
22 bushfires in Victoria, including current laws, policies,  
23 practices, resources and strategies for prevention,  
24 identification, evaluation, management and communication  
25 of bushfire threats and risks; and, 3, to inquire into and  
26 report on all aspects of the response to the 2009  
27 bushfires, particularly measures taken to control the  
28 spread of fires, the measures taken to protect life,  
29 private and public property, including but not limited to  
30 the immediate management and response and recovery;  
31 resourcing, overall coordination and deployment; and

1 equipment and communication systems.

2 That is what counsel assisting's submissions  
3 address and will continue to address. From counsel  
4 assisting's point of view, that is the evidence and they  
5 are the matters that we will continue to investigate,  
6 report on and make submissions.

7 For the State of Victoria to make the submission  
8 it has is really tantamount to indicating that counsel  
9 assisting in some way or another should withdraw from the  
10 proper role and function it has in the Royal Commission.  
11 We will not do so.

12 In relation to the very few points that were  
13 raised by Mr Myers in answer to the submissions that were  
14 put this morning, they will be addressed by my colleagues.

15 CHAIRMAN: Yes, Mr Rozen.

16 MR ROZEN: Thank you, Mr Chairman. Just a few brief matters in  
17 reply. Firstly, it was said by my learned friend Mr Myers  
18 that it was wrong to say that the people of Victoria were  
19 badly let down by the incident management team. I didn't  
20 say that. What I said was that the firefighters on the  
21 fireground were let down by the incident management team.  
22 The basis for that submission is as set out in our written  
23 submissions and the matters that I have raised today.

24 The second matter in reply is it appears that it  
25 is maintained by the State of Victoria that, as Mr Myers  
26 put it, the circumstances on 7 February were circumstances  
27 that "no-one expected". There is a great deal of evidence  
28 before the Commission about the entirely proper and  
29 appropriate pronouncements that were made by the Premier,  
30 by fire agencies and the like to draw to the community's  
31 attention the nature of the fire danger that the state

1           faced on 7 February 2009. In our submission, the evidence  
2           does not bear out a submission that the circumstances that  
3           in fact arose on the day were circumstances that no-one  
4           expected.

5                     Thirdly, the matter of whether Mr Rice was asked  
6           to be incident controller I think has been largely  
7           addressed by Mr Myers and Mr Rush. The position is in  
8           fact that all of the relevant people, that is Mr Rice  
9           himself, Mr Farrell, Mr Creak and Mr Miller, were asked  
10          about the question. The transcript references are  
11          included in our submissions. It is surprising, to say the  
12          least, that it would be said by counsel on behalf of the  
13          State that those witnesses were not asked about the issue.

14                    It was said by Mr Myers that the Commission ought  
15          only be interested to know about persons that were there  
16          and available. It is our submission that the evidence  
17          seen in its totality indicates that Mr Rice was both there  
18          and available. It is not suggested for one moment that  
19          Mr Rice ought to have marched into the incident control  
20          centre and announced that he was the incident controller.  
21          That of course would be highly unusual and improper. The  
22          submission that counsel assisting make is that he is a  
23          person who ought to have been considered for the role in  
24          circumstances where there was no other level 3 incident  
25          controller apparently available.

26                    Finally, in relation to the observations made by  
27          Mr Willans, true it is that the observations were not  
28          conveyed. My learned friend Mr Myers says that for  
29          whatever reason the observations were not conveyed. The  
30          evidence indicates that Mr Willans attempted to  
31          communicate those observations but was unable to do so.

1           That is the only evidence before the Commission on that  
2           matter, that he was unable to contact the incident control  
3           centre.

4                     They are the matters in reply, thank you.

5   CHAIRMAN:    Yes.

6   MS RICHARDS:  There are just two points in reply in relation to  
7           evacuation, Commissioners.  Mr Myers said the only test  
8           was whether those concerned acted reasonably and in good  
9           faith.  In relation to the scrutiny of those people's  
10          actions that may be the inquiry, but the matters that this  
11          Commission has to inquire into go much further than that  
12          and it is for this Commission to inquire whether the  
13          policy that the fire agencies had in place on 7 February  
14          in relation to evacuation was a good policy, whether it  
15          served the people of Marysville well, whether it achieved  
16          the ultimate goal of protecting life.  In our submission,  
17          when that inquiry is embarked upon, the answer is clear.  
18          It did not.  The policy needs re-examination.

19                    Secondly, I simply note that Mr Myers did not  
20           take the opportunity to clarify his client's position as  
21           to whether evacuation should be recommended by an incident  
22           controller in an appropriate case.

23                    Thank you, Commissioners, unless there are any  
24           questions.

25   CHAIRMAN:  Thank you, Ms Richards.  We will take a break now.

26           As I understand it, we are dealing with Redesdale and  
27           Bendigo between now and lunchtime.

28   MS RICHARDS:  Yes, and Churchill this afternoon.

29   CHAIRMAN:  And Churchill from 2 pm.  We can perhaps have a  
30           little more generous break in those circumstances.  We  
31           will resume at 11.30.

1 (Short adjournment.)

2 CHAIRMAN: Yes, Ms Richards.

3 MS RICHARDS: Commissioners, I will now address in oral  
4 submissions both the Redesdale and Bendigo fires. In  
5 relation to the Redesdale fire, I can be very brief  
6 indeed.

7 The Redesdale fire was first reported to the CFA  
8 at about 1511 on 7 February. It started on open farmland  
9 near the eastern bank of the Coliban River about two  
10 kilometres to the west of the township of Redesdale.

11 The fire burned for about 19 kilometres to the  
12 south-east from its point of origin and after the wind  
13 changed to the south-west at about 1835 the fire then  
14 burned to the north-east and in some areas to the north.  
15 The total area burned by the fire was about  
16 10,000 hectares and it was nearly 20 kilometres long and  
17 eight kilometres wide at its widest point.

18 The Redesdale fire was managed by a level 3  
19 incident control centre at Epsom on the northern outskirts  
20 of Bendigo. A level 3 incident management team fully  
21 staffed by qualified CFA and DSE personnel was in place at  
22 the Epsom ICC in advance of the fire starting. The Epsom  
23 ICC assumed control of the incident at about 3.30 that  
24 afternoon and John Deering of the CFA was appointed the  
25 incident controller.

26 The fire was brought under control by 7 o'clock  
27 the following morning and was completely blacked out by  
28 14 February. There were 12 houses damaged or destroyed by  
29 the fire, as well as 50 sheds and other outbuildings, the  
30 Baynton church and a bridge. There was no loss of life in  
31 the Redesdale fire.

1           The incident management for the Redesdale fire  
2 and consequently the response was exemplary. It  
3 demonstrates what can be achieved with good planning,  
4 pre-positioning qualified staff in a well-equipped ICC,  
5 and methodical and intelligent information gathering and  
6 sharing. Counsel assisting submit that the following key  
7 findings should be made in relation to the Redesdale fire  
8 and these appear starting at page 25 of counsel  
9 assisting's written submissions.

10           First, the cause of ignition of the Redesdale  
11 fire has been investigated but not determined. Possible  
12 sources of ignition that have not been excluded are,  
13 first, ignition by a spark or hot exhaust system; second,  
14 deliberate ignition; third, ignition by farm operation or,  
15 fourth, ignition by a carelessly discarded cigarette butt.  
16 While these possible causes could not be excluded by  
17 investigators, there is no evidence that any of these  
18 sources ignited the fire.

19           Second, it's proposed the Commission should find  
20 that the Redesdale incident management team gathered  
21 information about the Redesdale fire thoroughly and  
22 efficiently during the afternoon of 7 February 2009. As  
23 this information came into the incident control centre it  
24 was shared with IMT personnel.

25           The way in which information was gathered and  
26 shared by the IMT at the Epsom ICC enabled it to assess  
27 which communities were at risk, to prepare and distribute  
28 timely and informative warnings to those communities and  
29 to put in place appropriate road closures. When I say put  
30 in place, I mean to ask the police to implement road  
31 closures.

1           Fifthly, good information gathering and sharing  
2           by the incident management team also enabled it to work  
3           out the strategy adopted in fighting fire, which was to  
4           make a concentrated effort to secure the north-eastern  
5           flank of the fire before the impending wind change, to  
6           protect the communities of Redesdale, Mia Mia and  
7           Heathcote further to the north-east. This strategy was  
8           finalised within an hour of the Epsom ICC assuming control  
9           of the incident, so by 4.30 that afternoon. It was  
10          implemented in the two hours between then and the wind  
11          change and was effective. A red flag warning was issued  
12          at 1730 and was transmitted to all stations on the  
13          fireground with advice that a strong south-west wind  
14          change was forecast to occur between 1830 and 1900. In  
15          fact the wind change came through at 1835.

16          Next, the effective management of the Redesdale  
17          fire by the Epsom ICC is testament to the importance of  
18          good planning leading up to a day of extreme fire danger,  
19          in particular pre-positioning properly qualified and  
20          experienced staff in an ICC. It also highlights the value  
21          of focusing on gathering and sharing information within  
22          the incident management team, within fire agencies and  
23          with the public.

24          The response to the Redesdale fire was hampered  
25          by a number of communication difficulties. Radio  
26          communications between Redesdale and divisional command  
27          and the fireground were poor, probably due to a  
28          combination of radio black spots and the heat and smoke of  
29          the day. Mobile telephone communications were  
30          intermittent and ground observers were unable to transmit  
31          information electronically via broadband internet

1 connection.

2 Members of the Victoria Police responding to the  
3 Redesdale fire also encountered difficulties with radio  
4 communications due, it is clear on the evidence, to the  
5 high volume of radio traffic directed through Bendigo D24.

6 The evidence on which these proposed key findings  
7 is based is discussed in detail in the written submissions  
8 of counsel assisting, and I don't propose to go further  
9 than outlining the key findings. The proposed findings  
10 are by and large accepted by the parties, although the  
11 State raises some additional matters in its written  
12 submissions and in particular emphasises aspects of the  
13 preparation and planning that enabled the Epsom ICC to  
14 operate so well on 7 February.

15 That's all I need to say about the Redesdale  
16 fire.

17 The Bendigo fire started a little over an hour  
18 after the Redesdale fire at around 1620. It started near  
19 Bracewell Street, Maiden Gully, on the north-western  
20 outskirts of Bendigo. It burned through both public open  
21 space and suburban blocks on the western side of Bendigo.  
22 When the wind changed to the south-west at about 1830 the  
23 fire was 5.5 kilometres long and had almost reached  
24 Spotlight on the Calder Highway, a point which was only  
25 two kilometres from Bendigo's CBD. After the wind change  
26 the fire burned towards the north-east further into  
27 suburban Bendigo. The total area burned by the Bendigo  
28 fire was 354 hectares, of which about half was public  
29 land.

30 Police believe the cause of the Bendigo fire to  
31 be suspicious and, as has been the case with other fires

1 where cause is believed to be suspicious, no submissions  
2 are made in relation to cause of the fire.

3 The CFA again was the control agency for the  
4 Bendigo fire and responsibility for managing the fire was  
5 allocated to the Adam Street ICC. Adam Street is a level  
6 2 ICC located at the Bendigo and Fortuna group  
7 headquarters in Adam Street, Golden Square, a suburb of  
8 Bendigo. The level of readiness at the Adam Street ICC  
9 and its ability to manage the Bendigo fire contrasted  
10 markedly with the state of affairs at the Epsom ICC.

11 The fire was declared contained at shortly before  
12 10 o'clock on the evening of 7 February and was declared  
13 safe at 3 am the following Monday. One person lost his  
14 life in the Bendigo fire. Kevin Mick Kane was overcome by  
15 flames outside his home in Daniel Street, Long Gully,  
16 after the fire had been burning for a little over an hour  
17 on its initial south-east run. The circumstances  
18 surrounding his death were described by his sister,  
19 Jillian Kane, who gave evidence early in the Commission 's  
20 proceedings and have also been examined by the  
21 Commissioners during the inquiry into the fire-related  
22 deaths.

23 The property losses suffered during the Bendigo  
24 fire were some 61 houses and 125 outbuildings that were  
25 either destroyed or damaged by the fire. In contrast to  
26 the experience elsewhere, the losses after the wind change  
27 were minimal; only two houses were lost after the wind  
28 changed to the south-west.

29 Counsel assisting submit that the following  
30 findings should be made in relation to the Bendigo fire,  
31 and these are set out commencing at page 54 of counsel

1 assisting's written submissions.

2 First, while the planning and pre-positioning of  
3 staff at the Epsom ICC was exemplary, the management of  
4 CFA region 2 did not plan adequately for the eventuality  
5 that more than one significant fire might break out in the  
6 region on 7 February. When the second fire did break out  
7 on the outskirts of Bendigo, the facilities and the  
8 personnel available to manage the incident were  
9 inadequate. The Adam Street ICC was largely irrelevant to  
10 the response to the fire in the critical hours before and  
11 immediately after the wind change.

12 However, and this key finding should be given  
13 equal prominence with the first, it is a credit to the  
14 firefighters who responded to the Bendigo fire that they  
15 were able to establish a working incident management  
16 structure on the fireground and were able to deploy  
17 resources reasonably effectively.

18 With a quick and active initial response, the CFA  
19 might have been able to bring the Bendigo fire under  
20 control. However, with the delay in members of the public  
21 being able to report the fire to 000 and the consequent  
22 delay in brigades being paged, it was 20 to 30 minutes  
23 before the first firefighters arrived. By that time the  
24 fire was out of control.

25 A particularly interesting key finding to emerge  
26 from the evidence about the Bendigo fire is the next one,  
27 that fuel reduction on the western outskirts of Bendigo,  
28 in particular the burn in the Dai Gum San diggings area in  
29 the spring of 2008, was critical in reducing the impact of  
30 the Bendigo fire on residential areas.

31 The next finding put forward by counsel assisting

1 is that there was a deal of unnecessary confusion about  
2 the location of the emergency relief centre in Bendigo on  
3 7 February 2009 and poor advice to the public about where  
4 those evacuating could go. This confusion might have been  
5 avoided with better communication between the Adam Street  
6 ICC and the MECC, the municipal emergency coordination  
7 centre, in particular with earlier attendance by a CFA  
8 liaison officer at the MECC.

9 An interagency initiative that did work well  
10 during the Bendigo fire was the allocation of a police  
11 member to each of the sector commanders for the Bendigo  
12 fire later in the evening of 7 February. The  
13 Commissioners will recall Eric Smith of the Eaglehawk  
14 brigade spoke favourably about that initiative.

15 Next, the lack of a pre-positioned information  
16 officer and the very basic computer facilities at the Adam  
17 Street ICC hindered the provision of timely warnings and  
18 advice to the public about the Bendigo fire. The  
19 information officer, Mr Beaton, did an outstanding job in  
20 preparing urgent threat messages after he arrived at the  
21 Adam Street ICC, and I interpolate there that that was at  
22 1800 that he arrived, but his efforts were diminished by  
23 the email difficulties he encountered. The probable  
24 result of these difficulties was that people relying on  
25 the CFA website for information about the Bendigo fire  
26 between 1717 and 2137 and ABC 774 listeners heard no  
27 urgent threat messages for that fire between 1800 and  
28 2252.

29 In spite of these difficulties, there was very  
30 good information flow to the community through local  
31 radio, in particular ABC Bendigo. Mr Beaton's strategy of

1 ensuring that information was provided to local radio was  
2 effective and was enhanced by ABC Bendigo's thorough  
3 reporting of the Bendigo fire.

4 The evacuation of residents in areas of fire was  
5 done at the initiative of police and not at the request or  
6 direction of the CFA's control agency for the fire.  
7 During the early hours of the fire Sergeant Gaffee had  
8 limited information about the movement and extent of the  
9 fire gained by his own direct observations and those of  
10 other police relayed through D24. This meant that the  
11 commendable efforts of Sergeant Gaffee and the police  
12 under his command to evacuate areas of risk were reactive  
13 rather than systematic.

14 With the resources that were available initially  
15 police were only able to warn a limited number of  
16 residents. Had additional police been rostered to work on  
17 the afternoon of 7 February, Sergeant Gaffee would have  
18 been able to warn more residents of areas under threat of  
19 fire as well as managing traffic more effectively. This  
20 experience suggests a need for Victoria Police to roster  
21 additional staff when catastrophic fire weather is  
22 forecast.

23 The last key finding proposed by counsel  
24 assisting arising from the evidence in relation to the  
25 Bendigo fire is that a feature of the fire was an almost  
26 total breakdown of radio communications between the  
27 fireground and the Adam Street ICC. In the absence of any  
28 other explanation, firefighters in Bendigo have developed  
29 a theory that it was the smoke plume created by the fire  
30 that interfered with radio communications with the ICC.  
31 While this theory cannot be accepted in the absence of

1 technical evidence, it would be a matter of grave concern  
2 if it is indeed the case that fire agencies' radio systems  
3 do not function reliably in the presence of smoke.

4 Perhaps not surprisingly, there is less agreement  
5 with these proposed key findings than in relation to the  
6 Redesdale fire. In these oral submissions I will  
7 concentrate on the following two points only: the  
8 preparation and performance of the Adam Street ICC and the  
9 delays in members of the public being able to report the  
10 fire to VicFire through 000.

11 Firstly, in relation to the Adam Street ICC,  
12 I have already outlined the proposed key finding about the  
13 adequacy of that incident control centre. In essence the  
14 finding that is proposed is that the facilities and  
15 personnel available to manage a second fire in Bendigo  
16 were inadequate.

17 The State submits that this finding should not be  
18 made because it is not supported by the evidence. It says  
19 that the following finding should be made instead, and  
20 this appears starting at the bottom of page 1 of the  
21 State's written submissions. "The planning and  
22 pre-positioning of staff at the Epsom incident control  
23 centre was exemplary. The Country Fire Authority  
24 north-west area, comprising regions 2, 18 and 20, was well  
25 prepared for the eventuality that more than one  
26 significant fire might break out in the area on 7 February  
27 2009 in accordance with the chief officer's instructions.  
28 Across the area there were three level 3 ICCs staffed with  
29 preformed level 3 IMTs at Epsom, Swan Hill and Mildura.  
30 In region 2 there were two preplanned ICCs and preformed  
31 IMTs at Epsom, level 3, and Adam Street, level 2."

1           The State then says, "It would have been optimal  
2           for a level 3 incident to be run from a level 3 facility.  
3           However, the Epsom ICC was already in use at the time the  
4           Bendigo fire started, and the preformed level 2 IMT at the  
5           Adam Street ICC was rapidly restaffed to a level 3 IMT  
6           after the Bendigo fire had commenced."

7           Then, "Whilst the Adam Street IMT," the State  
8           says, "had limited involvement in the initial stages with  
9           the firefighting response, which is not uncommon for an  
10          ICC in the initial stages of a large fire, it played an  
11          important role in the response to the fire in the critical  
12          hours before and immediately after the wind change."

13          In the submission of counsel assisting, the  
14          alternative finding proposed by the State flies in the  
15          face of the evidence about the incident management of the  
16          Bendigo fire and the preparation for it. While the  
17          planning and pre-positioning of the staff at the Epsom ICC  
18          was indeed exemplary, the Epsom ICC was not given  
19          responsibility for managing the Bendigo fire.

20          John Cutting was the regional duty officer for  
21          CFA region 2 and the manager of the Bendigo regional  
22          emergency coordination centre on 7 February. He had  
23          foreseen the possibility that more than one fire might  
24          break out in region 2. During his briefing to the  
25          region's group officers on 6 February Mr Cutting had  
26          warned that "it may be the second or third fire that  
27          catches us out". Yet, while region 2 was superbly well  
28          prepared for the first fire, it was hardly prepared at all  
29          for the second fire that broke out in Maiden Gully.

30          Shortly after becoming aware of the Bendigo fire,  
31          Mr Cutting telephoned Mr John Deering. Mr Deering, you

1 will recall, was the operations manager for CFA region 2  
2 and had been appointed the incident controller for the  
3 Redesdale fire. Mr Cutting asked Mr Deering if he had the  
4 capacity to manage a second fire from the Epsom ICC.  
5 Mr Deering's response was to the effect that the Epsom ICC  
6 was already operating at capacity and could not manage a  
7 complex new fire as well as the Redesdale fire.

8 Mr Cutting then went to his next option, the  
9 level 2 ICC at the headquarters of the CFA's Bendigo and  
10 Fortuna groups at Adam Street. He rang Peter Rogasch, the  
11 Fortuna group officer, and told him in his words, "Pete,  
12 you're it. You're all we've got."

13 At this point it is necessary to examine the  
14 State's claims about the level of readiness in the CFA  
15 north-west area and specifically in region 2. The State  
16 says, first, that the north-west area of the CFA was well  
17 prepared for the eventuality that more than one fire would  
18 break out in the area, with level 3 ICCs pre-positioned at  
19 Epsom, at Mildura and at Swan Hill.

20 It doesn't really answer a submission about the  
21 level of preparedness in region 2 to say that regions 18  
22 and 20 were also ready. Notably it is not suggested that  
23 the Mildura or Swan Hill ICCs were able to manage an  
24 incident in region 2.

25 The evidence cited in support of this level of  
26 preparedness is the state duty officer's list of ICC  
27 preparedness, which was annexed to Gregg Paterson's  
28 statement. If you look at that list, which I won't go to  
29 now, you will see that it shows that for region 2  
30 Mr Cutting had advised that there was a level 3 ICC  
31 located at Epsom and a level 2 ICC located at Bendigo.

1           Quite separately on the list, Bill Johnstone had  
2           advised that for regions 18 and 20 there was a level 3 ICC  
3           located at Mildura, a level 2 ICC at Swan Hill and also a  
4           joint DSE/CFA oddly level 2 ICC at Bendigo. So there was  
5           no level 3 ICC in place at Swan Hill, only at Mildura and  
6           Epsom. But, whatever the level of the ICC at Mildura and  
7           at Swan Hill, it is not seriously suggested that they were  
8           in a position to manage the Bendigo fire. It certainly  
9           wasn't an option that Mr Cutting spoke of in his evidence.

10           As we have seen in relation to the Kilmore and  
11           the Alexandra ICCs, inclusion in Mr Paterson's list isn't  
12           proof that any particular ICC was ready for a hot or even  
13           a warm start; i.e. that the ICC would be able to operate  
14           virtually immediately; that there are people there, all  
15           the facilities, the equipment is set up and running and  
16           tested, to quote Mr Rees.

17           So what was the level of preparedness at the Adam  
18           Street ICC? The evidence shows quite clearly that there  
19           was not a level 2 IMT in place at the Adam Street ICC on  
20           7 February when the Bendigo fire broke out. Mr Rogasch  
21           was appointed the incident controller with perhaps an  
22           underwhelming vote of confidence by the regional duty  
23           officer. While Mr Rogasch is undoubtedly a very  
24           experienced firefighter, he had no qualifications or  
25           experience as an incident controller. None. He had been  
26           mentored as a level 3 planning officer and had acted as a  
27           deputy planning officer and a deputy operations officer at  
28           level 3 fires. It's a huge jump from that level of  
29           experience and those qualifications to be placed in charge  
30           of managing a level 3 incident on the fringe of one of  
31           Victoria's regional cities.

1           The State says that there is no evidence to  
2 support a finding that the fire would have been managed  
3 differently if a level 3 incident controller had been  
4 appointed. It is our submission that the State can't have  
5 it both ways in relation to its system of accrediting  
6 incident controllers. There is a well-defined set of  
7 skills, experience and qualities necessary to be  
8 accredited as a level 3 incident controller, and those are  
9 directly related to the demands on an incident controller  
10 for a level 3 fire.

11           If this system has any value at all, and counsel  
12 assisting submit that it does, we can assume that it makes  
13 a difference to have a person with the right skills,  
14 experience and qualities in charge during a major  
15 incident. Certainly the system should not simply be  
16 ignored by appointing underqualified or in this case  
17 unqualified incident controllers to manage level 3 fires.  
18 This is an issue that Ms Doyle will address in some more  
19 detail in relation to the Churchill fire this afternoon.

20           It's not as though there were no other level 3  
21 incident controllers in Bendigo on Black Saturday.  
22 Mr Deering, as we know, was fully occupied with the  
23 Redesdale fire. But the evidence shows that at least  
24 former CFA chief officer Trevor Roach, Mike Wassing and  
25 Mark Gilmore, all of whom are qualified level 3 incident  
26 controllers, were in Bendigo and were available to assist,  
27 and indeed they did assist as events unfolded. However,  
28 none of them was pre-positioned at the Adam Street ICC or  
29 brought in as an incident controller in the early stages  
30 of the fire.

31           After Mr Rogasch was appointed incident

1 controller, he allocated people to the roles of  
2 operations, planning and logistics officers. The  
3 qualifications and experience of those people are not  
4 known. These matters were a noticeable omission from the  
5 statements prepared for the Commission in relation to the  
6 Bendigo fire. In our submission, the Commission can  
7 assume that it would have been told had they been properly  
8 qualified.

9 Finally in relation to pre-positioned personnel  
10 there was no-one present at the Adam Street ICC to staff  
11 an information unit when the Bendigo fire commenced.

12 The next point to be made in relation to the Adam  
13 Street ICC is that the facilities at the ICC themselves  
14 were inadequate. Drawing on Mr Rogasch's description of  
15 the facilities available, it's clear that they were very  
16 basic indeed. The building was small. He spoke of being  
17 limited by its physical size. There were only two  
18 computers with very limited access to the CFA network, a  
19 slow and rather temperamental email system and only  
20 black-and-white A4 printers. The ICC did not even have  
21 the full range of maps required to manage the incident.

22 Critically, the Bendigo IMT had no access to the  
23 CFA's incident management system from either of the two  
24 computers at the Adam Street ICC, and hence had no access  
25 to information on the IMS and could not enter information  
26 into it. Adam Street was also dogged by poor radio and  
27 telephone communications with the fireground which were  
28 perhaps related more to the conditions and the volume of  
29 traffic on the day rather than the adequacy of the  
30 facilities.

31 So, in our submission, the evidence supports a

1 conclusion that the Adam Street ICC was not prepared for a  
2 warm or hot start as a level 2 ICC either in terms of the  
3 people who were gathered at Adam Street or the facilities  
4 available to them.

5 Next, the State claims that Adam Street was  
6 rapidly restaffed to a level 3 IMT. Again the evidence  
7 just does not bear out this claim. The Bendigo fire  
8 started at 1620 and Adam Street was put in charge at 1645.  
9 A much needed information officer first arrived at about  
10 1800 when Peter Beaton arrived from the Epsom ICC. Mark  
11 Gilmore arrived on the fireground at 1830 and assumed the  
12 role of divisional commander without reference to the Adam  
13 Street ICC and indeed unaware of its existence until 7.45  
14 that evening. So I don't think that we can count him as  
15 part of the Adam Street ICC staff.

16 Russell Manning and a team of DSE staff was sent  
17 from the Epsom ICC to the Adam Street ICC and arrived at  
18 1900, by which time the fire had been burning for nearly  
19 three hours. Mr Manning, who is a level 2 qualified  
20 incident controller and a level 3 operations officer,  
21 became deputy incident controller. The qualifications of  
22 the staff who arrived with him are not known.

23 A qualified incident controller first took charge  
24 of the incident management team at 9.30 that evening when  
25 Mike Wassing took over from Mr Rogasch. Mr Wassing had  
26 arrived at the Adam Street ICC at 6.30, and he and  
27 Mr Rogasch had agreed at 7.30 that Mr Wassing should take  
28 over as incident controller.

29 What the evidence reveals is that there were some  
30 level 3 qualified staff appointed to roles within the  
31 Bendigo IMT from 7 o'clock onwards and that a level 3

1 incident controller was first appointed at 9.30. That is  
2 hardly a rapid restaffing to level 3. Less than half an  
3 hour after a level 3 incident controller was appointed the  
4 fire was declared contained.

5 Notwithstanding this, the State submits that the  
6 Adam Street ICC played an important role in the response  
7 to the fire in the critical hours before and immediately  
8 after the wind change. Once more, the evidence does not  
9 support that proposed finding by the State.

10 Looking at the evidence, the Adam Street ICC did  
11 none of the things that you would expect a level 3 ICC to  
12 do at any time during the early stages of the fire in  
13 advance of the forecast wind change. It didn't formulate  
14 or direct a strategy for responding to the fire. Key  
15 personnel on the fireground were simply unaware of the  
16 existence of the ICC. These personnel include Eric Smith  
17 of the Eaglehawk CFA, who was the initial incident  
18 controller, who was unaware of the ICC's existence until  
19 at least 6.30; Mark Gilmore of the CFA, who became  
20 divisional commander who learnt of it first at 7.45; and  
21 Jeff Wilkie of the DSE, who didn't learn of it until after  
22 8 o'clock.

23 The Adam Street ICC didn't do any of the  
24 following things before the wind change. It didn't seek a  
25 spot fire weather forecast from the bureau. It didn't  
26 prepare a fire prediction map. It did issue a red flag  
27 warning. It didn't communicate with police about where  
28 roadblocks were required. It didn't liaise with the MECC  
29 about, for example, the location of emergency relief  
30 centres, which led to the relief centre having to be  
31 hurriedly relocated when it was realised that it was in

1 the path of the fire after the wind change.

2 Mr Beaton attempted to issue the first warning  
3 from the Adam Street ICC at 6.30 but was stymied by the  
4 rudimentary email system. Consequently, the warning was  
5 in fact not received by many, perhaps most, of the  
6 intended recipients.

7 What the evidence establishes is that in fact the  
8 ICC was largely irrelevant to the response to the fire.

9 I should reiterate at this point that, while  
10 counsel assisting's submissions are critical of the level  
11 of preparedness in CFA region 2 for the second fire and of  
12 the Adam Street ICC in particular, it would be wrong to  
13 think that we're critical of all aspects of the response  
14 to the Bendigo fire.

15 As detailed under the heading "Response", CFA and  
16 DSE personnel responded quickly and effectively in  
17 difficult circumstances. The account of the response to  
18 the fire in the written submissions leads to the proposed  
19 key finding that it is a credit to the firefighters who  
20 responded to the Bendigo fire that they were able to  
21 establish a working incident management structure on the  
22 fireground and deploy resources reasonably effectively.

23 That brings me to the second rather briefer point  
24 that I wish to make in oral submissions, and that relates  
25 to delays at 000. Proposed key finding 23.4 is that with  
26 a quick and active initial response the CFA might have  
27 been able to bring the Bendigo fire under control.  
28 However, with the delay in members of the public being  
29 able to report the fire to 000 and the consequent delay in  
30 brigades being paged, it was 20 to 30 minutes before the  
31 first firefighters arrived. By that time the fire was out

1 of control.

2 The State does not agree with this proposed key  
3 finding to the extent that it criticises the CFA's initial  
4 response to the fire. The proposed key finding is not  
5 critical of the CFA's response to the fire once it learned  
6 of its existence. The point to be made is that delays in  
7 answering emergency calls to report the Bendigo fire meant  
8 that the CFA had no opportunity to bring the fire under  
9 control with a quick first response, bearing in mind that  
10 it was Mr Cutting's assessment that with a quick and  
11 active initial response the fire might have been able to  
12 be brought under control.

13 Unlike many of the fires that broke out on  
14 7 February, the Bendigo fire did not start in a remote or  
15 inaccessible place. It started near a sealed road on the  
16 outskirts of Bendigo about 10-minutes drive from the  
17 Eaglehawk fire station. The fire was seen by a nearby  
18 resident at 4.20 out of her dining room window, I think.  
19 At this time the fire was, as she described it, only a few  
20 feet in length and can only have been burning for a very  
21 short time. She tried to ring 000. She couldn't get  
22 through. There are in evidence police statements from  
23 half a dozen other members of the public who saw the fire  
24 in its early stages and tried unsuccessfully to ring 000.

25 Eventually the fire was reported by two members  
26 of the public who drove to the Eaglehawk fire station and  
27 reported it to the firefighters there. Eric Smith times  
28 their arrival at about 4.30 and the arrival of the  
29 Eaglehawk pumper at the fire at about 4.40, so 10 minutes  
30 later. By the time the Eaglehawk pumper had arrived,  
31 however, the fire had taken off and was out of control.

1           On a day like 7 February the only opportunities  
2           that fire agencies have to bring a fire under control is  
3           in the critical first 10 or 15 minutes. That opportunity  
4           was present for the Bendigo fire because of its proximity  
5           to a fire station. However, delays in answering calls to  
6           000 meant that the CFA did not learn of the fire until it  
7           was reported directly to the Eaglehawk fire station.

8           Of course we will never know if the fire could  
9           have been controlled if the Eaglehawk pumper had arrived  
10          10 minutes earlier and perhaps if other brigades had been  
11          paged at an earlier time. The conditions on that day  
12          were, as we know well, extreme. However, it must be said  
13          that it is the case that the only opportunity that the CFA  
14          had to bring the fire under control slipped away while  
15          callers to 000 waited for their calls to be answered.

16          Commissioners, unless there are any questions,  
17          those conclude oral submissions in relation to both the  
18          Redesdale and Bendigo fires.

19 CHAIRMAN: Yes. Thank you, Ms Richards.

20 MR CLELLAND: I can be very brief, Mr Chairman. The State does  
21          not propose to add to its written submissions.

22 CHAIRMAN: Yes, thank you.

23 DR LYON: Nor does local government, sir.

24 CHAIRMAN: Yes, thank you, Dr Lyon.

25 MR GARNER: If the Commissioners please, Ms Richards referred  
26          to some communications difficulties in relation to both  
27          the Redesdale and the Bendigo fires which I will just seek  
28          to briefly address.

29          The first was that there was evidence that mobile  
30          communications were intermittent. That evidence was given  
31          by Mr Brittain in relation to the Redesdale fire and

1 Mr Rogasch in relation to the Bendigo fire. Their  
2 evidence did not include any specific details of the calls  
3 referred to and does not specify whether the difficulties  
4 were encountered on a 2G or a 3G network, or which was the  
5 entity which provided the relevant network that was being  
6 used.

7 Moreover, the evidence does not specify why calls  
8 were not successful, whether it was because the other  
9 phone was engaged or didn't answer or the call dropped out  
10 or there was some other reason for the unsuccessful nature  
11 of the call.

12 In those circumstances, it is very difficult to  
13 draw any specific conclusions as to the causes of these  
14 mobile phone difficulties or to frame any possible  
15 remedies based upon the available evidence.

16 Secondly, reference was made by Ms Richards to  
17 CFA radio communications difficulties from both the  
18 Redesdale and Bendigo firegrounds. Telstra notes that the  
19 Telstra CFA network does not cover either the Bendigo or  
20 Redesdale regions, which are CFA region 2, and that the  
21 CFA radio networks in those regions use CFA radio  
22 infrastructure which is owned and controlled by the CFA,  
23 not Telstra.

24 Ms Richards referred to proposed finding 11.8 in  
25 relation to Redesdale, which was that the fire agencies  
26 were hampered by a number of communication difficulties  
27 and that mobile communications were intermittent. Telstra  
28 does not support that proposed finding. In our submission  
29 it is too broad to be helpful in any way and will not  
30 assist the Commission in framing any recommendations in  
31 relation to communications.

1 Ms Richards also referred to the problems or the  
2 delays in answering emergency calls on 000 in relation to  
3 the Bendigo fire. The Commission has already heard  
4 evidence and submissions in relation to the causes for the  
5 delays in the 000 service and has indeed made findings and  
6 recommendations in the Commission's interim report.

7 I don't wish to revisit that, save to note that the thrust  
8 of those findings was that the delays in getting through  
9 to 000 were caused by a bottleneck at the ESTA answering  
10 point and not at the Telstra answering point. As I say,  
11 I don't wish to revisit all of that evidence at this time.

12 Finally, can I say, Commissioners, that the  
13 issues dealing with communications are dealt with fully in  
14 Telstra's written submissions in detail in relation not  
15 just to the Bendigo and Redesdale fires but all other  
16 fires, and of course Telstra relies on those written  
17 submissions additionally. If the Commission pleases.

18 CHAIRMAN: Yes. Thank you, Mr Garner.

19 MS RICHARDS: There is nothing in reply.

20 CHAIRMAN: Nothing more you want to add? Thank you,

21 Ms Richards. We will adjourn now until 2 o'clock, when we  
22 will deal with the Churchill fire.

23 LUNCHEON ADJOURNMENT

24

25

26

27

28

29

30

31

1 UPON RESUMING AT 2.00 PM

2 MS DOYLE: If the Commission pleases, we turn now to an  
3 examination of the Churchill fire. I won't recite the  
4 facts and circumstances about the ignition of the fire and  
5 its early phase at length, but you will no doubt recall  
6 that at about 1.30 pm on 7 February a caller to 000  
7 reported a fire at Churchill near the intersection of  
8 Glendonald Road and Jelleff's Outlet. The fire behaviour  
9 from the outset was extreme. The fire crowned in the  
10 plantation near those intersecting roads and spread  
11 quickly uphill to the south-east. The first crew who  
12 attended this fire were unable to engage in successful  
13 direct attack. The focus of the fire from that time  
14 onwards was essentially one of suppression where possible  
15 but principally protection of lives and assets.

16 By 4.50 on the afternoon of 7 February the fire  
17 had progressed a great distance and there were multiple  
18 spotfires, including one, a significant one, in the  
19 grassland on the western verge of the township of Yarram  
20 which itself developed into a significant fire placing  
21 significant strain on resources.

22 When the wind change impacted the Churchill fire  
23 at about 6 pm there was by that time an uncontrolled flank  
24 of fire running from the point of origin through to the  
25 east side of Mount Tassie, approximately 13 kilometres  
26 away. As has now become notorious in the hearings in  
27 relation to each of the fires, that uncontrolled flank of  
28 fire then effectively became the firefront and swept  
29 through townships located on the eastern flank of the  
30 fire, including Carrajung, Callignee, Koornalla and by the  
31 evening Gormandale.

1                   This fire was listed as under control at  
2                   6 o'clock on 19 February, having burnt over  
3                   24,000 hectares and resulting in the deaths of 11 people,  
4                   two in Hazelwood South, one at Jeeralang, four in  
5                   Koornalla and four in Callignee. Some 247 homes were also  
6                   destroyed.

7                   Now, in terms of the management of the fires you  
8                   will recall, Commissioners, that the Churchill fire was  
9                   managed by an incident management team based at an ICC in  
10                  the Traralgon DSE offices. However, the control agency  
11                  for this fire was in fact the CFA. As it turns out and as  
12                  you will hear further tomorrow, the Delburn fires had been  
13                  burning for some days, and a CFA-led incident control team  
14                  responsible for those fires was already located in those  
15                  Traralgon offices working on the ground level.

16                  As part of the DSE response to what it even in  
17                  those days referred to as a code red day, it had ensured  
18                  that there was situated at the Traralgon offices a  
19                  preformed IMT with a designated incident controller named  
20                  Lawrence Jeremiah, who is a highly-experienced DSE  
21                  employee with level 3 incident controller qualifications.

22                  When the Churchill fire broke out, and I'll go to  
23                  the detail about the way in which the incident controller  
24                  was selected further in a moment, the CFA was almost  
25                  immediately designated the control agency because it was  
26                  identified quickly that the fire would principally burn on  
27                  private land.

28                  A decision was made at the regional level that,  
29                  as the existing CFA-led team was already managing the  
30                  Delburn fires with Mr Lockwood at its peak as the incident  
31                  controller, what ought to happen was that that team should

1 expand in effect to now manage the Delburn and the  
2 Churchill fires. Mr Lockwood was appointed incident  
3 controller then of the entire complex and Mr Jeremiah was  
4 assigned the role of deputy incident controller.

5 A number of DSE employees then filled important  
6 slots in the team, including Mr Gillham, who was planning  
7 officer, Mr Kennedy, who filled the role of operations  
8 officer, and Mr Mitchell, who filled the role of deputy  
9 operations officer. There were a number of other  
10 employees from both DSE and CFA who filled the relevant  
11 slots in a strategic planning unit, in the information  
12 unit, as situation officer and in various liaison roles.

13 I make those remarks by way of introduction and  
14 I pause to note that the career staff, both from DSE and  
15 CFA, and volunteer firefighters who fought the Churchill  
16 fire in the field did an outstanding job. The Churchill  
17 hearings, which were conducted in Traralgon, were replete  
18 with stories of great fortitude and bravery. The sector  
19 and divisional commanders in particular deserve  
20 recognition for the way they managed their ground crew and  
21 maintained order and calm during a fast-moving,  
22 frightening fire.

23 The details of the particular suppression efforts  
24 and steps taken to protect particular assets, including  
25 homes but also the critical infrastructure of this state,  
26 such as Loy Yang Power, are detailed in counsel  
27 assisting's written submissions. No criticisms are made  
28 of the decisions made and steps taken in the field in  
29 relation to suppression tactics and efforts to protect  
30 life and assets.

31 But the written submissions do in some respects

1 make the point that the IMT responsible for the Churchill  
2 fire failed to perform to an optimal level. There were  
3 shortcomings in the IMT's work. In particular those  
4 shortcomings were exposed in relation to the team's use  
5 and dissemination of information. This is where the team  
6 fell down and this impacted on the quality of its  
7 predictive work, on the timeliness of warnings to one  
8 locality and importantly it impacted on firefighter  
9 safety.

10 The submissions of counsel assisting describe the  
11 Churchill IMT as in some respects dysfunctional, and we  
12 submit today this is the case. There are multiple  
13 instances of information and knowledge not passing between  
14 individuals in a team or between units in the overall team  
15 structure. This has happened in a way one would not  
16 expect if a team were working well and if it were  
17 functioning and operating in a manner one would expect  
18 with experienced leadership at the helm.

19 The key findings that counsel assisting submit  
20 ought to be made in relation to this fire are set out in  
21 detail in our written submissions, and some of them the  
22 State rejects in whole, others are accepted in part and  
23 some are accepted in full. I won't read each of them, but  
24 if I can just take you to the page which is now on the  
25 screen. It's at paragraph 13.3, where 17 proposed key  
26 findings are set out in counsel assisting's submissions.

27 You'll notice that a number of themes emerge from  
28 those findings, and I'm going to focus on five of those  
29 themes this afternoon. The first proposed finding listed  
30 there is that the CFA incident controller appointed to the  
31 Churchill IMT was less qualified and less experienced than

1 the DSE deputy incident controller. The evidence revealed  
2 that the CFA incident controller, Mr Lockwood, was  
3 endorsed only to occupy the position of incident  
4 controller at a level 3 incident under the supervision of  
5 a mentor. He subsequently, that is after the fires,  
6 obtained level 3 endorsement but did not hold it as at  
7 February 2009. Not only was he not provided with a mentor  
8 on the day this fire burned; his evidence was he had never  
9 been assigned a mentor.

10 The submission made by counsel assisting is that  
11 this set of circumstances is inexplicable in circumstances  
12 where there was a pre-positioned level 3 team headed by  
13 Mr Jeremiah ready and waiting and it is also inexplicable  
14 in circumstances when it was well known and widely known  
15 that the state was facing a day of extreme fire danger and  
16 that if any fire in addition to the Delburn fires broke  
17 out in that area they would do exactly as they did on that  
18 day; namely threaten communities, principally those around  
19 Traralgon South, and also the critical infrastructure of  
20 our state. We heard evidence in the hearings about the  
21 role that Loy Yang Power and other assets in the valley  
22 play in ensuring the uninterrupted supply of energy to all  
23 the citizens of Victoria.

24 In those circumstances, we submit it is  
25 inexplicable that there was not available within the CFA,  
26 for example, an experienced level 3 incident controller or  
27 that steps weren't taken to support Mr Lockwood in a  
28 better way given his relative inexperience.

29 Now, the five main areas that will be explored in  
30 my submissions this afternoon include that point I have  
31 just touched on, namely the appointment of the incident

1 controller. Was the best person for the job appointed on  
2 the day?

3 Secondly, the use by the IMT of information,  
4 principally valuable information in relation to weather,  
5 we say it was not used in an optimal fashion or in the way  
6 one would expect either internally, in terms of predictive  
7 work that might have been done, or externally, in  
8 particular the way it might have been used to ensure  
9 firefighter safety. We say the work of the strategic  
10 planning unit was of less value because of that unit's  
11 failure to have any regard to the spot fire weather  
12 forecast.

13 We also make a strong submission that the absence  
14 of an incident action plan, which is required to be  
15 prepared by an incident controller and key members of his  
16 team, is important in relation to the Churchill IMT  
17 because it demonstrates that there was an absence of a  
18 clearly articulated strategic plan for achieving any of  
19 the goals that the team might have sought to implement on  
20 that day.

21 I'll also deal with the absence of an  
22 organisational chart and a resource list, but that is  
23 quite intimately tied to the lack of an incident action  
24 plan.

25 Mr Rozen will deal with the question of warnings.  
26 There are two important failures pointed to in the key  
27 findings we propose in relation to the timeliness of the  
28 warning to the Callignee communities and the absence of  
29 any warning at all to Koornalla. Mr Rozen will also deal  
30 with firefighter safety. Now, as I have hinted at, this  
31 really intersects with what I call the use of information,

1 but in this particular instance there was a failure to get  
2 timely wind change information out to ground crew which  
3 crystallised in three very dangerous burnover events which  
4 have been the subject of an internal investigation by the  
5 CFA. Mr Rozen will speak to that matter and the related  
6 matter, which is the failure of this IMT to appoint a  
7 safety adviser; another mandatory requirement under the  
8 AIIMS manual and relevant standard operating procedures  
9 which just was not adhered to in this fire.

10 So I turn to the first matter, the appointment of  
11 the incident controller. I emphasise that the decision as  
12 to who would be incident controller wasn't made by  
13 Mr Lockwood. So he can't be criticised for having had  
14 essentially foisted upon him on that afternoon a  
15 significant job. The decision was made at regional level.  
16 Mr Lockwood dutifully took on the role assigned to him,  
17 and he can't be criticised for finding himself in that  
18 position. But it is a fact that Mr Lockwood had only been  
19 endorsed as a level 2 incident controller and, as I have  
20 already mentioned, authorised only to act at level 3  
21 incidents with a mentor in place. He was not supplied  
22 with a mentor during this fire.

23 The State now refers in its written submissions  
24 to a number of matters it says that justify the  
25 appointment of Mr Lockwood, for example, in preference to  
26 Mr Jeremiah. This is a matter they identify at paragraph  
27 15 in their written submissions, if we can just turn to  
28 the matters that are outlined there. This is in the  
29 State's submissions, (RESP.3000.005.0080).

30 In the second sentence there it is suggested that  
31 the combination of Mr Lockwood's capabilities, the exact

1 circumstances of the day, and there they point to the fact  
2 that Mr Lockwood was already the incident controller for  
3 Delburn, the proximity of critical infrastructure and the  
4 nature of the standard operating procedures and practice  
5 in place mean it's not inexplicable that Mr Lockwood was  
6 appointed incident controller.

7 Counsel assisting take issue with each of those  
8 propositions. The first matter I want to underscore is  
9 that there is no evidence that any of those matters, other  
10 than the standard operating procedure, featured in any of  
11 the decision making made at the regional level. The  
12 evidence is clear. Mr Lockwood was made the incident  
13 controller because the CFA was the control agency. That's  
14 really at the heart of it.

15 There is ample evidence in this Commission that  
16 not only did the standard operating procedure, which  
17 incidentally is standard operating procedure 3.01 -- that  
18 standard operating procedure which applied on 7 February  
19 governed the appointment of the control agency and the  
20 incident controller, and simply said the control agency  
21 shall appoint an incident controller from either agency,  
22 but giving no guidance as to suitability or the criteria  
23 which might be weighed if one were considering whether one  
24 should appoint Mr Lockwood or Mr Jeremiah.

25 True it is the procedure acknowledges the  
26 theoretical possibility that in circumstances where the  
27 CFA is the control agency they might appoint a DSE  
28 incident controller. The only thing is, Commissioners, in  
29 relation to every single fire that burned on 7 February  
30 the control agency in every instance fielded the incident  
31 controller.

1           You will recall the evidence of Mr Haynes, who  
2           gave evidence subsequent to the Churchill run of hearings.  
3           He acknowledged in his statement and in his oral evidence  
4           that the overwhelming tendency of the agencies is and was  
5           to always appoint an incident controller from the agency  
6           that is the control agency.

7           Importantly, when the relevant players gave  
8           evidence in Traralgon none of them pointed to these  
9           matters that are now collected in the written submissions  
10          for the state government. Rather they emphasise the fact  
11          that Mr Lockwood was appointed incident controller because  
12          the CFA was the lead agency. Indeed, the way Mr Lockwood  
13          described it at transcript page 9288 was that the  
14          "decision was made above us" at regional level.

15          Mr Jeremiah, it should be noted, did say that he  
16          was aware that Mr Lockwood would have more experience with  
17          matters such as open cut mines, and that may well be the  
18          case. But significantly Mr Jeremiah was not saying those  
19          matters were thrashed out or even discussed at the time of  
20          Mr Lockwood's appointment.

21          Those may now be recognised as features which  
22          assisted Mr Lockwood in the task that faced him on the  
23          day, but it can't be pretended that there was any  
24          assessment of those matters in the decision to appoint  
25          him. Nor has it been explained why there was no other CFA  
26          level 3 incident controller in the region who could have  
27          taken on the role instead. There is scant evidence about  
28          preparedness levels and resources in that region at the  
29          time. It was explained in evidence that there were two  
30          known level 3 incident controllers theoretically available  
31          but clearly occupied on other tasks on that day. So no

1 criticism is made about not moving those gentlemen.

2 But the other evidence that Mr Lockwood gave is  
3 that there are 40 career staff and 2,500 volunteers in  
4 region 10. It is extraordinary that among that body of  
5 staff there was such a deficit in training and resources  
6 that it fell to Mr Lockwood to run this difficult, complex  
7 fire in the circumstances.

8 We now know from the evidence of Mr Haynes and  
9 Mr Slijepcevic that shortfalls in the numbers of trained  
10 and experienced level 3 incident controllers in both  
11 agencies have been known for some time but were in fact  
12 the subject of a detailed study or succession planning, as  
13 one of them called it, in 2006. There is clear evidence  
14 that in February this year there were 93 level 3 incident  
15 controllers around the state, and that the CFA expects and  
16 hopes to have 100 by now. That shows some commitment to  
17 increasing the numbers, but it also underscores the fact  
18 that even with those numbers the CFA has faced and may  
19 continue to face difficulties fielding level 3 incident  
20 controllers. Indeed, that was the evidence of Mr Haynes.  
21 "We'll try to get level 3 incident controllers in place on  
22 a code red day," he said, "but we have never said we could  
23 guarantee it. We may have to field a level 2 incident  
24 controller and try to get a level 3 one there during the  
25 morning or as a fire develops." That is Mr Haynes's  
26 evidence.

27 It is in those circumstances then that the system  
28 and related to that the level of resourcing and over time  
29 the level of training gave rise to a situation where  
30 Mr Lockwood was tapped on the shoulder that day and, we  
31 say, put in a situation where his relative inexperience

1 must be taken to be at least one of the reasons and  
2 probably the significant reason why his team's management  
3 of this fire failed in a number of significant respects.

4 It's not that he did no good. It's not that the  
5 team did nothing of value. They acted as quickly as they  
6 could. They deployed resources in a timely fashion as  
7 best they could and indeed a significant number of  
8 resources, particularly during initial attack. But there  
9 are matters and there is a need to take the bad with the  
10 good that are identified in counsel assisting's  
11 submissions which we say do demonstrate a shortfall that  
12 needs to be acknowledged.

13 In relation to that question of Mr Lockwood's  
14 relative inexperience, I should in fairness note that when  
15 Mr Lockwood was invited in cross-examination by the State  
16 to indicate whether he felt his training and experience  
17 had equipped him for the role he confirmed, he thought,  
18 that his training and experience were adequate and he  
19 didn't feel he had been put in a position he ought not to  
20 have been. That's a matter that was explored at  
21 transcript page 9253.8. But unfortunately there were a  
22 number of things that did not go as well as they should.  
23 I will identify some of those in brief form and then turn  
24 to the detail.

25 IMT members were relying on outdated weather  
26 information. The evidence shows, and I'll go to this in  
27 detail, that only a couple of members of the IMT, and in  
28 particular Mr Brett Mitchell, the deputy operations  
29 officer, even looked at a spot fire weather forecast which  
30 was issued by the bureau at 4 pm that day. It was a spot  
31 weather forecast which indicated that a wind change was

1 predicted to hit the Churchill fireground between 5.30 and  
2 7.

3 Now, from 4 o'clock onwards that was the best and  
4 the latest information available about the wind change.  
5 The State says numerous times in its submissions, "You  
6 can't take that on its own. There are wind charts. There  
7 is real-time information." That's accepted. But when IMT  
8 members persist in using old information which is wrong  
9 that's not a matter to celebrate. That shows a failure in  
10 dissemination of information. That shows a shortcoming in  
11 people having regard to the latest and best information.  
12 That is capable of having serious consequences, whether it  
13 be because of the way and the time at which warnings are  
14 issued, as is the case in relation to other fires, or in  
15 this case because it may deprive firefighters on the field  
16 of critical information that has a direct impact on their  
17 safety. So the first point is that IMT members were  
18 relying on outdated weather information.

19 The second matter is that one member in  
20 particular of the team provided some wind change  
21 information to members of the team but in a manner which  
22 was misleading and which the State accepts was certainly  
23 not helpful. I'm talking about the evidence that was  
24 given at length by Mr Gillham of the planning unit to the  
25 effect that when he advised IMT members in an IMT meeting  
26 that a wind change was going to arrive at 7 pm, he did so  
27 because he was relying on matters including a wind change  
28 chart, which is a matter different from the spot weather  
29 forecast, a wind change chart issued by the Bureau of  
30 Meteorology just before 2 o'clock which said that the wind  
31 change would arrive between 6 and 8.

1                   Commissioners, you will no doubt recall the  
2                   idiosyncratic rationale Mr Gillham gave for the way in  
3                   which he conveyed the information. He said he fixes on  
4                   the median point or the mid-point; namely, if he sees a  
5                   range of 6 to 8, he says a wind change will arrive at 7.  
6                   The State accepts that that is not the best way in which  
7                   to relay information, and that giving the window is always  
8                   more helpful.

9                   But there are two problems with what Mr Gillham  
10                  did because not only did he provide the mid-point; he  
11                  provided the mid-point on an outdated range. The latest  
12                  information from 4 o'clock onwards was that the wind  
13                  change would arrive between 5.30 and 7. In those  
14                  circumstances we say and in circumstances where in fact  
15                  the wind change arrived at 6, which is within the range  
16                  predicted by the bureau, that was the right information,  
17                  that was the best information, and other members of the  
18                  team and firefighters on the ground and the community  
19                  deserve the best information.

20                  Commissioners, you will recall a spot weather  
21                  forecast is a one or one-and-a-half page document. It is  
22                  an easy thing to look at. It was in the building. It was  
23                  being used by Mr Mitchell. We say: why was it not ever  
24                  seen by the incident controller or his deputy or anyone in  
25                  the strategic planning unit? It beggars belief.

26                  Most significantly, Mr Lockwood's evidence was,  
27                  as I noted, he didn't see the spot weather forecast and it  
28                  was a complete surprise to him when the wind change  
29                  arrived at the fireground at 6 rather than 7, which is the  
30                  information he had been given.

31                  One of the points made by the State in the

1 broader context about Mr Lockwood's experience is that,  
2 even though he only be level 2, at least he was surrounded  
3 by good experienced people, including Mr Jeremiah, whose  
4 experience can't be doubted. I then ask this  
5 question: why didn't any of them bring it to his  
6 attention? Mr Jeremiah didn't see the spot weather  
7 forecast either. There is no good pointing to the  
8 availability or the back-up of an experienced guy in your  
9 deputy chair or a great team around you if none of them  
10 can give you the piece of paper either.

11 The other difficulty in relation to this fire and  
12 in relation to Mr Lockwood's experience is that he never  
13 prepared an incident action plan. I'm going to go to this  
14 in some detail because it is our submission that that is  
15 not a mere piece of paper or a ticking of boxes. In the  
16 absence of a plan it becomes clear in relation to this  
17 fire that there was no overarching plan or objective.  
18 Now, that didn't dissuade people on the ground from doing  
19 their best; from following the local command structure, as  
20 they should; from taking initiative; and from engaging in  
21 great acts of bravery, and they are to be commended for  
22 it.

23 But there was no strategic direction emanating  
24 from the team sitting in the office at Traralgon. There  
25 was no overarching plan. There was no statement of a  
26 strategy. There were no trigger points for deploying  
27 resources to any particular place at any particular time.  
28 Indeed, a real flavour of the evidence was local sector  
29 and divisional commanders working hard, working together,  
30 returning to certain staging posts to speak to each other  
31 and doing their best to inform the IMT what they were

1 doing rather than the IMT issuing any direction, guidance  
2 or advice from above.

3 Now, a red flag warning was issued from this IMT,  
4 and Mr Mitchell is responsible for that and he is to be  
5 commended for taking that initiative. It would appear he  
6 did that while other members of the team were occupied in  
7 a meeting. But in the event the process by which the red  
8 flag warning was issued and its lateness, it was issued  
9 quite close to the time at which the wind change arrived,  
10 meant that three tankers somehow -- I will go to the  
11 evidence in a moment -- received the wrong message.  
12 Having received the wrong message, they were surprised by  
13 the wind change event when it arrived, it came upon them  
14 suddenly, and they were involved in burnover events which  
15 Mr Rozen will go to in more detail.

16 The other matter we say that speaks of  
17 inexperience on Mr Lockwood's part includes his failure to  
18 appoint a safety adviser, which is mandatory.

19 Now, those matters I have just tracked through  
20 there, I'm going to go back to some of them in detail, the  
21 failure to have regard to the spot weather forecast, the  
22 fact that a member of the team was providing outdated and  
23 misquoted wind change information, the fact that the  
24 incident controller himself was surprised by the time at  
25 which the wind change arrived, the two significant  
26 failures in relation to warnings that Mr Rozen will go to,  
27 the absence of strategic direction and advice from  
28 the team, the shortfalls in the red flag warning process  
29 and the absence of a safety adviser, we say all of those  
30 key matters, though no causal link is drawn by us between  
31 them and any particular death or any particular loss of

1 any asset, nevertheless we say those significant matters  
2 mean the management of this fire cannot be described as an  
3 unqualified success. There are lessons to learn, and we  
4 say a number of them are likely to be the result of  
5 Mr Lockwood's relative inexperience and the fact that,  
6 whatever deficits existed in his experience or approach to  
7 the task, the team around him unfortunately didn't fill  
8 the breach.

9 Part of this gives rise to the question the State  
10 asks, "Well, what difference would it have made if a more  
11 experienced incident controller had been appointed?" In  
12 part our answer to that is this: there is in place a  
13 system under the AIIMS manual where incidents are  
14 categorised by levels of complexity, level 1, 2 and 3,  
15 reserving 3 for the most complex and difficult fires, and  
16 this was one such fire.

17 There is also a training and in the CFA case an  
18 endorsement regime which acknowledges that level 3 is an  
19 appellation reserved for the most experienced and the  
20 best. Now, either these things mean something or they  
21 don't and we can throw the whole manual out and just  
22 appoint whoever we like whenever we like. But presumably  
23 level 3 in terms of complexity warrants level 3 in terms  
24 of experience. If it doesn't, then a lot of the evidence  
25 and the exploration of the numbers of level 3 incident  
26 controllers and the types of skills they ought to possess  
27 would be irrelevant. But presumably the State sees value,  
28 as we do, in maintaining a system that rewards and  
29 recognises those who are the best at what they do, and  
30 those are the people who are experienced level 3 incident  
31 controllers.

1                   Indeed, there has been evidence in these  
2                   proceedings of essentially what's known as the A list, the  
3                   list of level 3 incident controllers from either agency  
4                   which have been put into a composite document as at late  
5                   December identifying the cream of the crop, the very best  
6                   level 3 incident controllers. We happily accept there  
7                   obviously are such people and their skills can be  
8                   objectively analysed and they can be listed in a single  
9                   page document.

10                   Now, in the circumstances in which the state went  
11                   into 7 February knowing that we could face our most trying  
12                   day and then having that eventuality arrive, it is our  
13                   submission that greater effort could and should have been  
14                   made to make sure some members of that A team were  
15                   available to assist others who are not so experienced.

16                   Part of this also drives us back to an analysis  
17                   of what is a level 3 incident controller and what sort of  
18                   skills and attributes should they possess. There must be  
19                   some rationale to the adoption of this system of grading  
20                   skills and grading incidents. I can remind the Commission  
21                   that the AIIMS manual sets out the classification scheme,  
22                   and there is no need to go to the detail of the way in  
23                   which those incidents are assigned different levels.

24                   But we have also heard evidence in the  
25                   proceedings about the type of person who makes a good  
26                   level 3 incident controller, and I do want to turn to that  
27                   briefly. This is a matter that is set out helpfully in  
28                   exhibit 551 in the proceedings. This is a document  
29                   Mr Slijepcevic and Mr Haynes spoke to when they gave  
30                   evidence. It appears at page (DSE.HDD.0074.0284).

31                   While that's coming up, I remind the Commission

1 this is a 2006 document. It was a joint project by the  
2 CFA and DSE. It was undertaken for one of the reasons  
3 that I have already highlighted. If we can just look at  
4 page 0286 of the document. You will see in the third  
5 paragraph there, "Recent succession planning in both CFA  
6 and DSE highlighted a shortage in the number of accredited  
7 IC 3s." That means level 3 incident controllers. They  
8 then go on to note an increase in the median age of the  
9 current group.

10 They also note that, "Under the current fire  
11 training pathways, progression through levels 1, 2 and 3  
12 generally takes more than 10 years." I want to pause to  
13 emphasise that too. If that be the case, and it may well  
14 be, it just shows the level of experience in addition to  
15 simply gaining the endorsement that is required before one  
16 is a good level 3 incident controller. Again we say that  
17 must mean something, and Mr Lockwood didn't have that  
18 background.

19 The rest of this page goes on to identify that in  
20 a joint venture it was decided to focus on articulating  
21 the role standard for a level 3 incident controller. At  
22 the bottom of this page it is explained the way this was  
23 done was by gathering a reference group together of  
24 highly-experienced incident controllers from all the NEO  
25 and CFA agencies, this is right at the bottom of the page,  
26 to discuss the role standard.

27 Now, this manual is called the "Skills, knowledge  
28 and personal attributes required to be a level 3 incident  
29 controller". Even the title is telling. It is something  
30 about personal attributes that matters. Leadership,  
31 organisation, the capacity to be calm in stressful

1 situations, the capacity to lead, to inspire, to advise,  
2 to organise; all of these sorts of personal features are  
3 the hallmarks of a good leader and they are the sort of  
4 matters that are identified here as the kinds of skills  
5 you would expect from a level 3 incident controller.

6 Can I take you to page 291 of this document just  
7 to highlight the sorts of attributes that this joint  
8 reference group thought were important. At the bottom of  
9 page 291 there's a heading "Proposed personal attributes  
10 required", and it's identified that they have pooled the  
11 answers of the reference group in order to compile this  
12 list. I won't read every single one, but if you go to the  
13 next pages, 292 onwards, Commissioners, the headings  
14 really give you the list or the checklist of the personal  
15 attributes you look for.

16 The first cab off the rank is "Stress tolerance".  
17 The next is "Self-awareness". Over the page at 293,  
18 "Communication and interpersonal skills". At 4.4 there is  
19 reference to "Problem solving". That's on the next page.  
20 At 295, the following page, "Effective decision making".  
21 The list goes on. You can have recourse to that document  
22 at your leisure.

23 The point I'm trying to make, Commissioners, is  
24 that sometimes these attributes are difficult to measure  
25 precisely, but they are capable of being measured. When  
26 someone is designated a level 3 incident controller or,  
27 even better, placed on the list that identifies them as  
28 one of the best in the state, it is because they have  
29 shown skill and flair in relation to these attributes. It  
30 is because they have run big fires. It is because they  
31 have been exposed to stress and conquered it. It is

1 because they are known to be good leaders. That  
2 experience is valuable.

3 When I make submissions tomorrow about the Bunyip  
4 fire, I'll draw a comparison, but just pause here briefly  
5 to note that you will remember the evidence of Mr Nugent,  
6 a very experienced DSE incident controller. You will  
7 recall his mastery of the suppression tactics that were  
8 necessary in order to deal with the Bunyip fire when it  
9 was in the park. You will remember the CFA incident  
10 controller, Mr Smith, who took over the next day, who  
11 showed passion and wisdom and experience drawing on his  
12 years, including the Ash Wednesday fire.

13 These things are sometimes a little subjective,  
14 but these things I submit are important and are capable of  
15 being measured and are capable of being recognised. For  
16 some people, it has already been recognised and they have  
17 been endorsed. Others have not. Their time is yet to  
18 come. We say these things underscore the importance of  
19 these features and underscore the importance of  
20 experience.

21 I'm going to turn now, having made those general  
22 remarks, to a couple of particular incidents that  
23 I identified. I'm first going to return to this issue of  
24 the use of information in relation to weather.

25 This is a matter that the State deals with in its  
26 submissions at paragraph 19 onwards. Can I just take you  
27 to the State's submissions to isolate the point they make  
28 about what I might call Mr Gillham and the wind change.  
29 This is what they say at paragraph 19: "The State accepts  
30 that it would have been preferable had the planning  
31 officer referred to the change of" effectively between 6

1 and 8 o'clock "in the Delburn spot weather forecast rather  
2 than using 1900 as the mid-point".

3 I want to pause there to make two points. It is  
4 good that that's conceded; namely, that someone presented  
5 with a range of time during which a wind change might  
6 arrive ought to refer to the range rather than picking a  
7 mid-point. Good. That's point 1.

8 Point 2: why was he referring to that outdated  
9 information at any time after 4 o'clock? He shouldn't  
10 have been. There was a spot fire weather forecast  
11 available. It was certainly in the IMT by 4.30. We know  
12 that by working backwards, because we know Mr Mitchell had  
13 it in his hand at 4.30. There is no excuse for  
14 continuing, including at a 5 o'clock IMT meeting, to lead  
15 other members of the team to believe that the wind change  
16 would arrive at 7 when it was known or capable of being  
17 known within that building it would arrive between 5.30  
18 and 7. It's exactly what happened. For three tankers,  
19 that caught them by surprise when it arrived at 6.

20 This isn't an example where the State can say,  
21 "But it was all happening so quickly and we didn't know."  
22 You knew. Mr Mitchell had it, and there is no reason why  
23 members of the team were deprived of the most up-to-date  
24 and the best information.

25 So it's not just fixing on the mid-point that's  
26 the problem, and we hope that that's been fixed and there  
27 has been training or explanation about the best way in  
28 which to provide this information to your team mates. But  
29 there is that other matter, and in my submission the more  
30 important matter, and that is use the best information  
31 that's available and that the bureau provides.

1           Now, I just want to highlight the evidence about  
2 team members who didn't see the spot weather forecast,  
3 because that doesn't seem to be acknowledged in the  
4 State's submissions. Can I remind you that Mr Lockwood  
5 said at transcript page 9240 at line 24, "I didn't see  
6 it", and he agreed he would have expected it to be given  
7 to him.

8           Mr Jeremiah, the more experienced deputy, also  
9 didn't see it. So he was incapable of informing  
10 Mr Lockwood about it, if that were the problem. This is a  
11 point that's confirmed by Mr Jeremiah at 10201, line 15,  
12 and 10199.29. He did say he was less perturbed when it  
13 came earlier than he thought because he always factors in  
14 the possibility that things will arrive earlier. But,  
15 nevertheless, he never saw the document.

16           Now, Mr Pridgeon, who headed up the strategic  
17 planning unit, also didn't see it. He confirms that at  
18 transcript 9353 through to 9357, as the matter was debated  
19 at some length with him. I'll go to his evidence in a  
20 moment, but stunningly he said it probably wouldn't have  
21 changed much, was his initial evidence, for him. It was  
22 put to him that, given that part of his job was predicting  
23 where the fire might go, it's quite useful to have some  
24 relevant up-to-date information about when the wind change  
25 might arrive. He then conceded in part that it would have  
26 helped him at least identify the length of the flank of  
27 the fire before it became the front.

28           It is submitted this must be the case. If a  
29 strategic planning unit doesn't have access to good  
30 up-to-date wind change information, it must impact on the  
31 quality of its output and the way in which it assesses key

1 matters like how long will the firefront be before it  
2 becomes the flank and therefore at what time do  
3 firefighters need to know, do the community need to know  
4 and at what time is critical infrastructure at risk, which  
5 is after all one of the key jobs Mr Pridgeon said they  
6 were identifying.

7 For completeness, I should note the page of  
8 transcript where Mr Lockwood confirms that he continued to  
9 work on the basis of Mr Gillham's information the wind  
10 change would come at 7 and that he was completely  
11 surprised when it arrived at 6 is a matter that is  
12 identified at transcript page 9235 to 9236.

13 Now, I'm going to say something briefly about red  
14 flag warnings. I'm not going to deal in detail with  
15 firefighter safety, namely the outcome of the deficit in  
16 that warning. Mr Rozen will do that. But I do need to  
17 make a point about the facts that are available in terms  
18 of the red flag warning.

19 In a document that was provided by counsel for  
20 the State yesterday, the document that identifies the  
21 areas which are described as outline of allegations made  
22 by counsel assisting against individuals, I do need to  
23 take issue with a paragraph of this. It is paragraph 24,  
24 and it relates to Mr Mitchell.

25 By way of background can I say, Commissioners,  
26 the written submissions of counsel assisting deal with the  
27 evidence about the red flag warning in detail, probably  
28 some might say excruciating detail, because some of the  
29 evidence remained unclear, even at conclusion of hearings,  
30 and a great deal of effort was gone to in the written  
31 submissions to identify what was known and what wasn't

1 known. At the end of the day, and I'm putting this in  
2 summary terms, it became clear that Mr Mitchell had issued  
3 a red flag warning at about 5.30 for 6 o'clock. Somehow a  
4 group of firefighters - I'll try to use a neutral  
5 term - heard or received a different message, a message  
6 that the wind change would arrive at 7.

7 On balance, it appears that all one can say is  
8 it's more likely than not that Mr Mitchell did exactly as  
9 he thinks he did, doing his best to remember; namely, he  
10 issued a wind change warning that it would come at about  
11 6.

12 It looks to be more likely that Mr Barling, a  
13 divisional commander, misheard that information and in  
14 error, and it is submitted -- and it is submitted in the  
15 written submissions -- an understandable error in the  
16 difficult circumstances, misheard or miscommunicated that  
17 information; the end result being three tankers received a  
18 message that misled them as to the timing of the arrival  
19 of the wind change.

20 This document here at paragraph 24 suggests that  
21 it has been alleged by counsel assisting that Mr Mitchell  
22 provided an inaccurate red flag warning. In the last  
23 sentence there at 24.1 this appears to be a summary or  
24 even purports to be a quotation from our submissions,  
25 "However, on balance the evidence appears to establish  
26 that Mr Mitchell passed down the message to the effect  
27 that the wind change was expected at 1900", and the  
28 footnote sends you off to our submissions at paragraph  
29 7.39.

30 First of all, 7.39 can't be read in isolation.  
31 It comes after some 10 pages of close analysis of days of

1 evidence about who said what when. You will remember the  
2 terminology I used in those hearings and in questioning  
3 Mr Barling was, "Is this sort of like reverse Chinese  
4 whispers? The message is wrong at the end and we are  
5 trying to trace back what was the initial message?"

6 You will see in paragraph 7.38 of our  
7 submissions, this is at page (SUBM.202.008.0057),  
8 Mr Barling, this is the divisional commander I mentioned,  
9 accepted that the recollections and logs of others tended  
10 to suggest the message he gave them was for a wind change  
11 at 1900. I won't go over the evidence. I think you will  
12 recall, Commissioners, we had a number of crew members  
13 and/or police statements from crew members which tended to  
14 suggest that whatever Mr Barling, doing his best, thought  
15 he had told them, it seems he told them a number at 1900.

16 But let's look at paragraph 7.39 and compare it  
17 with the way the State says that counsel assisting have  
18 put this submission and put this matter. "On balance, the  
19 evidence appears to establish that whatever Mr Barling was  
20 told or heard when Mr Mitchell issued the red flag warning  
21 to him, the message he passed down" -- namely  
22 Mr Barling - "must have been to the effect that the wind  
23 change was expected at 1900."

24 At length throughout these pages the evidence is  
25 analysed and the conclusion is reached that Mr Mitchell  
26 must also be right. He issued the correct red flag  
27 warning at 6. So there has never been any suggestion that  
28 Mr Mitchell erred. It has been asked why it was left to  
29 the end, so late to warn people about a wind change they  
30 had known about since 4.30. But, in any event, he did  
31 warn people when he saw the spot weather forecast and he

1 did so in the correct terms. Something went wrong  
2 somewhere else in the chain.

3 You will recall also that Mr Barling was then  
4 asked where he was when it came time for him to pass the  
5 message on. He said, and the passage is there at 7.40,  
6 "I was outside, inside, all over the place." The  
7 submission is made in Mr Barling's favour. It is  
8 undoubtedly difficult for a division commander focused on  
9 the fire suppression effort and managing events on the  
10 fireground to be in a position where he is required to  
11 receive and transmit important safety messages, without  
12 the benefit of a quiet place and a minute taker or logger  
13 to record what is received and transmitted.

14 I think the State take issue with this in another  
15 context, this reference to minute takers and loggers. The  
16 evidence is this IMT, unlike some, had a minute taker who  
17 sat at their meetings and wrote minutes for them and typed  
18 them during the day and distributed them. They did have  
19 at times a quiet place. They had documents in front of  
20 them, including the spot weather forecast, or at least  
21 Mr Mitchell did.

22 It's Mr Barling, who is directing ground crew,  
23 using a portable radio, near the fire out on the  
24 fireground, who made an error, and it is submitted here an  
25 understandable one and one for which he has received no  
26 criticism. By the same token, it was never attributed to  
27 Mr Mitchell. So I haven't had time to go through every  
28 paragraph in this document, but I note that glaring error.

29 I want to turn briefly to the work of the  
30 strategic planning unit. We do make the submission that  
31 its work was of little value, particularly given that they

1 were trying to work in the absence of the spot fire  
2 weather forecast. The strategic planning unit is not a  
3 unit that's identified in the AIIMS manual, as far as  
4 I can see. It seems to have been created for this fire,  
5 although Mr Pridgeon did say at transcript 9358 that he  
6 was familiar with it and DSE sometimes use such a unit  
7 during campaign fires.

8 He also then went on to say that in a quicker  
9 fire like this its overlap with the situation unit meant  
10 that its role was a bit more blurred. Whether or not  
11 there was overlap with the situation unit, can I also  
12 remind the Commission that Mr Pridgeon's evidence was he  
13 never spoke to the situation officer for the whole day.  
14 So, whatever value he may have obtained or information he  
15 might have gleaned from that unit, he didn't avail himself  
16 of it.

17 Our submissions make the point, and this is at  
18 6.5 to 6.9 of our document, that Mr Pridgeon personally  
19 produced only two maps during the entire fire which we say  
20 quite frankly were of limited predictive value. The first  
21 one consists of a line drawn across the map with the fire  
22 running to Yarram, and constitutes an estimate of the  
23 forward rate of spread. So effectively Mr Pridgeon took  
24 some information he did have, the distance the fire had  
25 travelled as at a particular time, I think it was at 3 pm,  
26 worked out the fire was travelling at about 7 kilometres  
27 an hour. He was right. That's useful information. He  
28 conveyed it to members of the team. That's good work.

29 But he did nothing else until about 10 o'clock  
30 that night when he drew some other lines on another map  
31 which he called a predictive map. Under cross-examination

1 he accepted that it wasn't so much a predictive map; it  
2 was instead trying to identify the perimeter of the fire  
3 as at 10 or 11 o'clock at night. Our submission is that's  
4 not of predictive value; that's descriptive. That's  
5 showing people where the fire has already burnt through.  
6 It had already annihilated Callignee and Koornalla. In a  
7 sense, so what? It wasn't going to help them plan  
8 anything to do with the suppression effort that evening.

9 The State says in response to that that's unfair  
10 because it focuses on what Mr Pridgeon did or didn't do  
11 and doesn't give weight to the other work done by other  
12 members of his team. But I will remind the Commission at  
13 pages 9352 to 9353 Mr Pridgeon was given an opportunity to  
14 explain what else members of his unit did, and he  
15 confirmed he could recall Mr Marshall had a map with  
16 assets marked on it. I asked him didn't they have such a  
17 map going into the fire. I think the location of the  
18 State's critical infrastructure in the Latrobe Valley is  
19 fairly notorious, if not marked on a map, but apparently  
20 Mr Marshall spent the day identifying it. Mr Costigan had  
21 a map for what Mr Pridgeon called the predictive stuff.

22 Now, to say we haven't given due weight to that  
23 work by other team members is a little rich in  
24 circumstances where both maps are missing. Mr Pridgeon  
25 had said efforts had been undertaken to try to find them  
26 and they couldn't be produced. In relation to that, see  
27 page 9357.

28 In any event, there was no evidence given by  
29 Mr Lockwood of using any of those maps to devise a plan  
30 because he didn't write one down. There is no evidence of  
31 the operations unit relying on those maps to deploy

1 resources or make any of their plans. In any event no  
2 member of that team, as I said, saw the spot weather  
3 forecast.

4 If you are going to be predicting the spread of a  
5 fire -- we say it is a very simple point we need make here  
6 only in one line -- then you need to know the latest and  
7 the best information about when the wind change is  
8 arriving.

9 I should also note that there were statements  
10 tendered, these individuals weren't called, by the manager  
11 of the information unit, Ms Hunter, and Mr Oldroyd from  
12 the information unit. They describe in very clear terms  
13 the good work they did warning communities. We say in  
14 most respects, other than two failings Mr Rozen will  
15 identify, the warnings they issued were timely and  
16 accurate.

17 But it is telling that neither of them referred  
18 to having had any interaction with the strategic planning  
19 unit and they didn't use any maps produced by that unit.  
20 In fact they say Andy Gillham gave them all the  
21 information they needed about the fire. Ms Hunter says in  
22 particular at paragraphs 28 to 30, "During this time there  
23 were no line scans or official predictive maps and I did  
24 not see any on the day." So we repeat our submission that  
25 the product of that unit was of little value in the  
26 circumstances.

27 I want to turn to incident action plans,  
28 Commissioners. We deal with this in detail in our  
29 submissions at paragraph 6.19 onwards. This much is  
30 clear: there was never an incident action plan prepared  
31 for this fire.

1           Let's get back to some basics about incident  
2           action plans, because the State says, "How could they?  
3           They were so busy. It was a fast fire." Let's check what  
4           the rules are about incident action plans. The AIIMS  
5           manual, which for completeness I will remind you is  
6           annexure 9 to the statement of Mr Haynes and I think it is  
7           also exhibited elsewhere, but it is certainly exhibit 547,  
8           provides that incident action plans must be prepared.

9           I will actually just take you to one aspect of  
10          the AIIMS manual in an appendix. This is exhibit 547. It  
11          starts at (WIT.3004.024.0124), the precise page being  
12          (WIT.3004.024.0163). So this is the AIIMS manual, but I'm  
13          going to a particular passage in it. In this section here  
14          the AIIMS manual is identifying the work that should be  
15          done by the incident management team. In fact it falls  
16          under the particular heading "Responsibilities of the  
17          incident controller".

18          If you can move down that page a little, there is  
19          a heading "Develop incident action plan". "The incident  
20          controller is responsible for determining the appropriate  
21          strategies for achieving the objectives of the incident.  
22          Action planning is continuous and plans are constantly  
23          under review taking into account the current situation  
24          reflected in regular situation reports." It then refers  
25          to the fact there should be meetings and it must be  
26          complete and approved by the incident controller.

27          The next heading says, "You should implement and  
28          monitor it." That seems to be obvious. Once you have  
29          devised a plan you ought to check that it is implemented.

30          Can I take you to an appendix to the document  
31          which says what a good plan should include. This is

1 starting at page 0207. Appendix 2 is headed "Planning"  
2 and it starts at 0207. This sets out in detail what is  
3 required, and the second sentence under that heading  
4 notes, "After consideration of all factors affecting an  
5 incident, an incident action plan is developed to manage  
6 the incident and as a tool to communicate the incident  
7 objectives."

8 May I pause there to highlight this point. It is  
9 no good for someone to have a fantastic plan in their  
10 mind. It needs to be communicated to the other core  
11 members of the team, and in a fire of any duration it  
12 obviously needs to be available in written form to be  
13 passed on to the next shift. It is not always distributed  
14 in the field. That's accepted. But there are some fires  
15 where it is. It was in Bunyip, for example, because they  
16 had time to do so.

17 But that's not really the crux of the matter.  
18 The issue is if there is a plan which has been documented  
19 then anyone who needs to can consult it. The incident  
20 controller can review it. Those down the chain know what  
21 to implement.

22 At times in its submissions it seems the State  
23 confuses objectives with plans, because they latch on to  
24 evidence like that given by Mr Mitchell. He said, "I knew  
25 what we were supposed to do. We were supposed to protect  
26 assets and save lives."

27 We make the point in those submissions and  
28 I repeat here those are objectives. They are good things.  
29 Of course that's the aim of a firefight on a day like  
30 7 February. But what you need to do is move from a  
31 general statement of general objectives to a plan. The

1 elements of a plan are objectives coupled with strategies  
2 for achieving the objectives.

3 As this appendix then goes on to say after those  
4 dot points, "A plan will contain incident objectives and  
5 strategies with specific timeframes." Obviously  
6 timeframes will guide people as to by what time something  
7 should be achieved.

8 If I can go to the next page, 0209. It is  
9 accepted there that it will not always be possible to  
10 write everything down instantly, and of course the  
11 State - no, this is page 0209. Sorry, can you just go  
12 back to page 0208. "The incident action plan provides  
13 information", it says there, "describing the incident and  
14 how it will be managed." It then goes on to say, "At a  
15 small incident the incident controller may develop a  
16 mental incident action plan. This will be based on an  
17 initial assessment upon arrival and knowledge of  
18 pre-existing plans and standard operating procedures.  
19 Should an incident develop beyond that catered for in a  
20 pre-incident plan and standard operating procedures, so  
21 should the incident action plan. For incidents that have  
22 a potential for extended involvement, the incident action  
23 plan should be documented."

24 It notes this matter which the State really makes  
25 a great deal out of in its submissions, the acknowledgment  
26 that, "During rapidly escalating incidents it can be  
27 extremely difficult for a written plan to be prepared in  
28 the initial stages." That is also accepted. While you  
29 are dealing with initial attack and responding to the  
30 first report of a fire, of course you shouldn't move out  
31 of the room and pick up a pen and start writing an

1 elaborate plan. But what it goes on here to say is,  
2 "Nevertheless, an assessment of the situation should still  
3 occur and an objective be determined. As soon as  
4 practicable, a written plan should be prepared in case the  
5 incident increases in complexity and to record the  
6 information for subsequent incident analysis and  
7 debriefs."

8           Then, "A well designed plan," it is said, "will  
9 include" and there is an identification there of all kinds  
10 of things, including incident objectives, strategies to be  
11 adopted, providing information on fallback strategies -  
12 and in a sense during a difficult firefight like  
13 February 7th that might be just as important as plan A - a  
14 structural chart, and if I move down a couple of dot  
15 points, an identification of the resources to be allocated  
16 to each division or sector. That was never done for the  
17 Churchill fire. In fact, the first time that all of the  
18 resources deployed to the fire were documented in an  
19 organised way was by counsel assisting during opening when  
20 a document prepared by us was provided.

21           One of the other dot points is a communications  
22 plan, including information on all agencies involved and  
23 appropriate contact details. All of these matters we say  
24 are useful. All of them are important. Significantly,  
25 the Coroner in the Linton inquest had already found in  
26 2002 that an incident action plan is critical and that it  
27 is important and valuable to the way in which a firefight  
28 develops and can be very important in particular in  
29 ensuring that available information about a wind change is  
30 discussed and understood by everyone and that it is  
31 communicated properly in the context of firefighter

1 safety.

2 I want to direct your attention to a couple of  
3 recommendations made by the Coroner, without reading them  
4 in full. It is in exhibit 546 and I'm just going to show  
5 you where they are. It starts at (TEN.132.001.0001). It  
6 is chapter 15 of the Coroner's report into the Linton  
7 deaths of 1998 that is relevant to this question. Chapter  
8 15 starts at (TEN.132.001.0383).

9 Commissioners, you may want to make a note of  
10 these paragraphs as I'm not going to read them all, but  
11 the core findings are 15.5.11, 15.9.1, 15.9.5, 6 and 7.  
12 Just to give you a flavour of what has been found here, at  
13 paragraph 15.5.11 at page 0408, following a detailed  
14 analysis of what evidence was available about the failure  
15 to prepare an incident action plan and to keep it updated,  
16 at 15.5.11, which is the bottom of page 048, the Coroner  
17 says this: "Had the discipline of a proper and timely  
18 incident action plan preparation occurred with the  
19 participation of all relevant IMT personnel, a common  
20 understanding would have occurred as to the likely time of  
21 arrival of the wind change and detailed strategies  
22 including relevant safety considerations would have been  
23 determined, documented and disseminated through the chain  
24 of command to the fireground."

25 This is what I identified earlier as what, in my  
26 submission, is one of the key values of documenting a  
27 plan. It helps people to realise what they have missed.  
28 It enables somebody who knows more than others to point it  
29 out. Perhaps somebody could have said, "That doesn't fit  
30 with the spot weather forecast", or "That's a good point.  
31 Have we made sure everyone knows about the spot weather

1 forecast, including people on the fireground." Here we  
2 have, about an incident in 1998 all those years ago, the  
3 Coroner making the same remarks about the importance of  
4 what he calls "the discipline of a proper and timely  
5 incident action plan".

6 I will take you over to page 0410, at paragraphs  
7 15.9.5 onwards. These are the other paragraphs I have  
8 identified as being important. Look at what the Coroner  
9 says in 15.9.5 in about the third sentence: "It is  
10 difficult to imagine a more important function for those  
11 in the IMT than the production of incident communications  
12 and incident action plans in accordance with the aims-ICS  
13 guidelines and dissemination of those plans to appropriate  
14 personnel in the command structure. The priority to be  
15 accorded to these tasks is clearly reflected in the  
16 manual."

17 He goes on to say: "The explanation that it is  
18 difficult to create such plans at an early stage of a  
19 running fire and that in effect they cannot be created  
20 until the second shift is not accepted." And he goes on  
21 to explain why he makes those findings in the particular  
22 circumstances.

23 In that context, I finally just want to remind  
24 you that Mr Jeremiah himself identified forming this plan  
25 as one of the key basics of running a good IMT. There is  
26 no need to go to it; I will just remind you of what he  
27 said.

28 At transcript page 10189 Mr Rozen asked  
29 Mr Jeremiah about the work that would be done in the early  
30 phases of an incident management team and what he had  
31 discussed with Mr Lockwood. Mr Jeremiah said this at

1 10189.6: "We have I guess three basics in our incident  
2 management processes. One is the structure chart, making  
3 sure everybody knows who they are reporting to and what  
4 the chain of command is. The second one is a  
5 communications plan, in particular for fire appliances and  
6 crews on the ground, so they can get messages if they  
7 need. The third is the strategic plan, which basically  
8 assesses the potential and provides some strategies for  
9 control." And yet none of those were done, and in  
10 particular Mr Jeremiah wasn't able to shed light on why an  
11 incident action plan wasn't done.

12 It has also come to my attention since those  
13 hearings that there is a standard operating procedure  
14 which requires an incident action plan to be done.  
15 I understand that the overall document in which it is  
16 contained has been available for some time but through  
17 oversight hasn't been tendered. For completeness, we have  
18 copies of that available. There is no magic in it. It is  
19 (DSE.0034.0291.0316). It simply confirms that it is a  
20 requirement to prepare an incident action plan and this  
21 applies to both CFA and DSE members. All incidents need  
22 to have an IAP, it says, once the incident appears to be  
23 progressing beyond an extended first attack.

24 Interestingly enough, this standard operating procedure  
25 doesn't admit of any exceptions. It doesn't say unless it  
26 is too hard, unless it will take too long, unless the fire  
27 is a really fast one. It says you've got to do it and  
28 this is the standard operating procedure which applied at  
29 the time.

30 I won't go to the detail of our submissions on  
31 the organisational chart and the resources list. They are

1 dealt with in detail in our written submissions. But  
2 I will just note this: that when the State says it really  
3 is a trivial matter because in the end people were wearing  
4 tabards and everyone knew who was occupying what role and  
5 there is no evidence of any problems, I need to remind the  
6 Commission of the evidence of Mr Mitchell.

7 He said not having a resource list was difficult  
8 for him, and we set out in our submissions at 6.32, 35 and  
9 36 the concerns Mr Mitchell had, because being from DSE he  
10 was even less familiar with what CFA had out on the  
11 fireground at Delburn and Churchill. He said he found it  
12 difficult to know what CFA tankers had been dispatched.  
13 He never got a list. And if he'd had a list, he would  
14 have attached it to the communications plan so he could be  
15 sure of reaching everyone on the fireground.

16 I make that point to underscore the fact that  
17 these aren't just matters of paperwork, boxes that need to  
18 be ticked. These are documents that help people do their  
19 job and it is in fact during a fast-moving, difficult fire  
20 where that structure would enable some who are struggling  
21 or whose memories are failing to have regard to the  
22 documents which might help them check what needs to be  
23 done, what has been done, which might prompt their memory  
24 or which might fill the gaps that their relative  
25 inexperience might be exposing on the day.

26 As I indicated, Mr Rozen is going to deal with  
27 the two discrete matters of aspects of warnings and  
28 aspects of firefighter safety.

29 MR ROZEN: If the Commission pleases. In relation to the topic  
30 of warnings, the submissions of counsel assisting are at  
31 paragraphs 3.1 to 3.28 of our written submissions. In

1 general terms, to summarise what we submit there, counsel  
2 assisting accept that communities in the path of the  
3 Churchill fire were warned in a timely manner by the  
4 Traralgon IMT. In particular, there were numerous  
5 warnings released to communities in the path of the  
6 initial run of the fire, that is communities south and  
7 south-east of the point of origin. Fire information  
8 releases were supplemented by radio interviews engaged in  
9 by the incident controller.

10 However, counsel assisting's written submissions  
11 refer to two deficiencies in the warnings issued on  
12 7 February 2009. In each case the problems arose after  
13 the wind changed.

14 Counsel assisting propose the following finding  
15 to be made in this regard, and this is at 13.3(v): The  
16 Churchill IMT failed to warn adequately the communities of  
17 Koornalla, Callignee, Callignee South and Callignee North  
18 about the risk they faced once the wind change affected  
19 the fire. There was no acceptable reason advanced for the  
20 failure to issue any alert or urgent threat message to  
21 Koornalla or for the failure to issue an urgent threat  
22 message to Callignee, Callignee South and Callignee North  
23 prior to 2000 hours, 8 pm, or in any event as soon as was  
24 reasonably practicable once updated information concerning  
25 the wind change became available at 1600 hours in the form  
26 of spot fire weather forecast.

27 The State's response to this proposed finding is  
28 set out at paragraphs 104 to 106 of its submissions. The  
29 State accepts that "it would have been desirable" for the  
30 communities of Callignee, Callignee South and Callignee  
31 North to have been the subject of an urgent threat message

1 earlier than 8 pm. However, it rejects a finding that  
2 there is no acceptable reason for the late warning.

3 In relation to Koornalla, the State maintains the  
4 position expressed in the evidence of Mr Gillham, the  
5 planning officer, which the Commissioners will recall,  
6 that the failure to warn Koornalla is justifiable because  
7 it is "a locality rather than a township". The State  
8 submits that the references in warnings that were released  
9 to other "key settlements bounding the area known as  
10 Koornalla" constituted sufficient warnings of the  
11 residents of Koornalla.

12 I intend to refer briefly to these two issues,  
13 starting with the question of warnings to the Callignee  
14 communities. Callignee, Callignee South and Callignee  
15 North are located about seven kilometres east of  
16 Churchill. As any map of the area shows, they were  
17 directly in the path of the fire once the eastern flank of  
18 the fire was impacted by the south-westerly wind change.

19 They were devastated by the Churchill fire in the  
20 early evening of 7 February 2009 when the fire direction  
21 changed as a result of the arrival on the fireground of  
22 the wind change at about 6 pm. The devastation occurred  
23 some time prior to 7 pm and, as has been indicated by  
24 Ms Doyle, four residents of Callignee lost their lives in  
25 the fires. Those deaths have been examined by the  
26 Commission and it will be recalled that three of them can  
27 be described as late evacuation deaths.

28 An alert message was issued to these towns at  
29 3.30 pm. However, an urgent threat message was not issued  
30 until 8 pm. That message when released warned residents  
31 that they "may be directly impacted by this fire". It is

1 common ground that by that time the fire had well and  
2 truly impacted on the towns.

3 Mr Gillham, the evidence indicates, was the  
4 planning officer and was ultimately responsible for the  
5 issuing of warnings. It will be recalled that he remained  
6 steadfastly of the view that it would not have been  
7 appropriate to warn the residents of Callignee earlier  
8 than 8 pm. See for example his evidence at transcript  
9 9413 line 10 and 9414 line 11.

10 His explanation for that position was as follows,  
11 and this is at 9414, lines 15 to 21. Mr Gillham said  
12 this: "The risk of issuing an urgent threat message too  
13 early is that it will likely expire unless we renew it on  
14 the airwaves and people would perhaps implement, if for  
15 example they had a sprinkler system, they would implement  
16 that too early if they were relying on that message and  
17 perhaps use all their resources prior to the fire  
18 hitting."

19 It is perhaps not surprising that the State makes  
20 no reference to this justification for the issue of the  
21 urgent threat message to Callignee as late as 8 o'clock.  
22 Rather, the State submits that account should be taken of  
23 what is referred to as the limited information available  
24 to the IMT on the path of the fire around the time of the  
25 wind change. That's a reference to paragraph 33 of the  
26 State's submissions.

27 Counsel assisting submit that it is not entirely  
28 clear what this refers to. Incident controller Lockwood  
29 knew as early as 4.25 in the afternoon that all locations  
30 to the east of the fireline would be at risk on the  
31 arrival of the wind change. He communicated that

1 information in a radio interview at that time. The  
2 townships of Callignee, Callignee South and Callignee  
3 North clearly meet the description of towns to the east of  
4 the fireline. In fact, along with Koornalla, they are the  
5 closest towns to the east of the fireline.

6 The State's attempts to justify the late warning  
7 of these three towns should be rejected, in our  
8 submission. The correct position is as described by  
9 incident controller Lockwood in his evidence at transcript  
10 9232, lines 21 to 25. Mr Lockwood candidly conceded that  
11 the three towns should have been warned no later than  
12 6 o'clock, when towns further to the east, such as  
13 Gormandale, were warned of the anticipated wind change.

14 If I can turn briefly to Koornalla. Koornalla is  
15 even closer to the fire edge than Callignee. It was  
16 clearly marked on the map used by the information unit to  
17 determine which towns to warn. It was also on the  
18 predictive map that Mr Pridgeon's unit prepared that  
19 Ms Doyle referred to earlier. Despite this, it was not  
20 issued with a warning at all on 7 February 2009. It, too,  
21 was devastated by the fire after the arrival of the wind  
22 change.

23 Mr Gillham's explanation for the failure to warn  
24 Koornalla was that Koornalla and towns like it are "just  
25 merely settlements or bush blocks just spread through the  
26 bush"; transcript 9405 lines 26 to 27. Mr Gillham told  
27 the Commission that Koornalla was located in the Traralgon  
28 Creek Valley and that warnings to Traralgon south of the  
29 north of the valley and Le Roy at the south were adequate  
30 warnings for Koornalla. The State adopts this evidence as  
31 its submission; see paragraph 35 of the State's

1 submissions.

2 Counsel assisting maintains the position that  
3 Koornalla should have been warned and the failure to warn  
4 it was an oversight by the IMT. We ask why should it  
5 matter if a location is a town or a settlement, whatever  
6 that distinction might be? Surely the important question  
7 is do people live and/or work there? If so, they are  
8 entitled to be warned and one of the primary  
9 responsibilities of our fire agencies is to issue timely  
10 and accurate warnings to people who may be affected by the  
11 fire.

12 Once again, the evidence of the incident  
13 controller, Mr Lockwood, was straightforward on this  
14 issue. He was unable to explain why Koornalla was not  
15 warned and he agreed with the suggestion by counsel  
16 assisting that it should have been.

17 If I can turn briefly to the topic of firefighter  
18 safety. This is dealt with in our written submissions at  
19 paragraphs 8.1 to 8.25 and there are three findings which  
20 we submit ought be made in relation to firefighter safety.  
21 The first of those is at paragraph 13(viii), which is at  
22 page 0086 of our written submissions.

23 The proposed finding is in the following terms:  
24 "No safety adviser was appointed to the Churchill IMT.  
25 The failure to appoint a safety adviser to the Churchill  
26 IMT was a breach by the incident controller of joint  
27 CFA/DSE standard operating procedure J3.04. As one of  
28 such an adviser's roles is to assist with the provision of  
29 safety advice, the failure to appoint a safety adviser is  
30 likely to have contributed to the transmission of a late  
31 and inaccurate red flag warning to some ground crew."

1           The second relevant finding is at (ix): "The  
2 Churchill IMT failed to ensure the transmission of  
3 accurate and timely wind change information to crew on the  
4 fireground in the form of a red flag warning or otherwise.  
5 No acceptable reason was advanced for the failure to  
6 transmit accurate wind change information to the crew on  
7 the ground as soon as was reasonably practicable after  
8 receipt of the spot fire weather forecast at approximately  
9 1600."

10           Finally, at (xii) on page 0087 of our written  
11 submissions we submit the following finding is open to be  
12 made by the Commission: "As a result of the failure to  
13 transmit accurate and timely information in relation to  
14 the wind change, firefighters on the ground were exposed  
15 to risks to safety and life during three burnover events  
16 detailed in official internal investigation reports."

17           In our written submissions at paragraphs 8.1 to  
18 8.25 we refer in some detail to the experience of the  
19 crews of the three tankers which were involved in burnover  
20 events, circumstances in which they were engulfed in  
21 flames. Each of the burnover events was the subject of an  
22 internal investigation report by the CFA. A similar  
23 incident at the Linton bushfire in 1998 claimed the lives  
24 of five CFA volunteer firefighters. It is counsel  
25 assisting's submission that it is fortunate that none of  
26 the firefighters in the Churchill fire were seriously  
27 injured.

28           In our written submissions we have examined in  
29 detail a red flag warning that was issued by the IMT at  
30 5.30 on 7 February 2009. As Ms Doyle has indicated,  
31 that's at paragraphs 7.1 to 7.52. We have submitted that,

1 on the balance of the evidence, the Commission should find  
2 that the warning that was ultimately conveyed to crews  
3 inaccurately advised firefighters to expect a  
4 south-westerly wind change at 7 pm. As we have noted,  
5 this was despite a recently received Bureau of Meteorology  
6 spot fire weather forecast that accurately predicted that  
7 the change would arrive between 5.30 and 7 pm.

8 The CFA investigation reports which are in  
9 evidence identify the misleading red flag warning as a  
10 contributing factor in the burnover events. We summarise  
11 the contents of those reports at paragraphs 8.6 to 8.12 of  
12 our submissions. An example is the findings in relation  
13 to the burnover involving the Glengarry West tanker number  
14 1, which is at paragraph 8.8 of our findings, and I will  
15 just quote briefly from the internal investigation  
16 finding.

17 The authors of the investigation report concluded  
18 as follows: "The red flag warning that was received at  
19 about 1730 hours warned of a south-westerly wind change  
20 for 1900 hours. The change in fact impacted the fire area  
21 at 1805 hours. While the red flag is given as a guidance  
22 and a heads up for field crews and commanders of a  
23 significant event coming, in this instance the warning may  
24 have provided a false sense of time security by leading  
25 the crew to believe they had plenty of time to establish  
26 themselves at their new assignment." Similar conclusions  
27 were reached in relation to the other two burnover events.

28 As Ms Doyle has noted, despite it being a  
29 mandatory requirement under the fire agencies' own  
30 standard operating procedures, there was no safety adviser  
31 appointed by the incident controller on 7 February 2009.

1 That's common ground, but the State complains that  
2 Mr Lockwood was not asked in the course of his evidence if  
3 he considered appointing a safety adviser. The  
4 Commissioners will well recall the evidence of Mr Lockwood  
5 at the Traralgon hearings and one can only speculate on  
6 what his answer may have been had he been asked whether or  
7 not he appointed a safety adviser. It is submitted that  
8 the chances are the answer would have been that he didn't  
9 recall or didn't know.

10 More importantly, counsel assisting submit that  
11 the presence of a safety adviser would have increased the  
12 likelihood of a red flag warning accurately advising of  
13 the timing of the wind change. As noted this morning and  
14 as will be expanded upon in our submissions in relation to  
15 the Bunyip fire tomorrow, we have evidence before us of  
16 the practical operation of the role that a safety adviser  
17 can play in assisting an incident controller to make  
18 decisions about the deployment of firefighters, taking  
19 into account their safety.

20 As we note at paragraph 8.22 of our written  
21 submissions, the coronial inquiry report into the Linton  
22 tragedy strongly recommended that the CFA train and deploy  
23 safety advisers for the very reason that their focus on  
24 the safety of crews will increase the accuracy of  
25 important information being disseminated by incident  
26 management teams.

27 In its written submissions the State of Victoria  
28 indicates an intention to lead further evidence about  
29 firefighter safety at future hearings of the Commission  
30 and counsel assisting welcome that indication and look  
31 forward to participating in any further hearings in

1 relation to that important subject.

2 They are the oral submissions that I seek to make  
3 in relation to those two topics, if the Commission  
4 pleases.

5 CHAIRMAN: Yes. Thank you, Mr Rozen.

6 MR MYERS: I can be brief, Commissioners. There are detailed  
7 written submissions, both of counsel assisting and of the  
8 State, and the State joins issue on every matter upon  
9 which it wishes to join issue in its detailed response.  
10 It will be seen, without going to particular parts of  
11 those written submissions, that in many cases we accept  
12 that there were failures to follow exactly the guidelines  
13 that were published by the State and by its authorities  
14 for the use of fire officers in these circumstances.

15 What we say, however, is that the particular fire  
16 officers who may have departed in some way or another from  
17 those guidelines are not to be condemned in the way they  
18 have been today by the relentless criticism of Ms Doyle.  
19 In fact, they were acting under difficult circumstances  
20 and it was accepted, properly by her, that there was no  
21 causal link to any death or loss of property as a result  
22 of any of these blemishes in the following of the  
23 guidelines. But the State doesn't sanction the failure to  
24 follow its guidelines; indeed, it is difficult to see what  
25 was the burden of the criticism of the State. There were  
26 lengthy quotations from the very guidelines which we say  
27 should be followed.

28 We differ really in two things. One thing in  
29 which we differ is that we do not see and we urge the  
30 Commission not to undertake any criticism of individuals  
31 where they may have not strictly followed guidelines, as

1 has been pointed out here today. There is no point to be  
2 served by it. Indeed, it can only be damaging to those  
3 individuals. There was sufficient loss of life and of  
4 property, and hurt, and the criticism of individuals whose  
5 actions did not constitute an event which is a causal link  
6 to any death or loss of property should not be undertaken.

7 The first thing that Ms Doyle dealt with was the  
8 appointment of Mr Lockwood as the incident controller.  
9 Now, in paragraph 7 of the State's submissions concerning  
10 the Churchill fire, this is dealt with and I should just  
11 like to read it. "As set out above, the Churchill fire  
12 was initially to be managed as a division of the Delburn  
13 complex of fires. Decisions as to the management of the  
14 Churchill fire were not made by CFA alone. DSE's state  
15 duty officer and the regional duty officer were consulted  
16 and agreed that the existing CFA-led IMT would manage the  
17 new fire." Very sensible; in consultation. "The standby  
18 preformed IMT joined the existing IMT at around 1415. In  
19 accordance with that decision to place the new fire under  
20 the control of the existing IMT, Mr Peter Lockwood,  
21 incident controller, Delburn, was appointed IC for the new  
22 fire at Churchill. Mr Lockwood's evidence was that he  
23 discussed the management of the new fire with Mr Greg  
24 Flynn, CFA operations manager, and 'we agreed that the  
25 Churchill fire would be a division of the Delburn complex  
26 fire. As I was already the IC of the Delburn complex fire  
27 it was never suggested that I would not continue in that  
28 role after the Churchill fire had started.'" A sensible  
29 decision which we defend.

30 There were numerous criticisms of Mr Lockwood.

31 Although my learned friend said at the outset she was not

1 going to criticise him, she did so on a couple of dozen  
2 occasions, I think as the transcript will show, but those  
3 criticisms don't lead anywhere. It isn't shown that any  
4 harm came from any of the criticisms that are made. In  
5 fact, we repudiate the suggestion that Mr Lockwood did not  
6 do a very good job indeed. He did. We also repudiate the  
7 suggestion that he shouldn't have been appointed incident  
8 controller. He was well up to the job, he thought he was  
9 up to the job, and a sensible decision was made that the  
10 incident controller of the nearby fire who had a good  
11 knowledge of the Churchill area, including the electrical  
12 and coal mining assets, should be appointed the incident  
13 controller.

14 In fact, if any other decision had been made,  
15 the officers responsible in these circumstances would have  
16 been subject no doubt to considerable criticism from those  
17 on my right. Moreover, Mr Jeremiah was the deputy  
18 controller and he had a great deal of experience.

19 Can I emphasise again - and I don't want to add  
20 anything in relation to the two topics that Mr Rozen  
21 adverted to, they are dealt with in our written  
22 submissions - can I add again we urge the Commission not  
23 to go into these questions of criticisms of individuals.  
24 Nothing is to be achieved by it and only harm can come  
25 from it. We are looking forward. We are trying to  
26 establish a new and better regime for the suppression of  
27 fires in Victoria.

28 The extraordinary thing, perhaps, above all else  
29 in the submissions that you have heard at great length  
30 this afternoon, repetitious of the written submissions,  
31 was the quotation from the various books and guide books

1 and manuals that are published by the State for the use of  
2 fire officers. The only suggestion is that some  
3 individuals departed from these. We don't seek to defend  
4 the departure in any absolute way, but we do say that it  
5 was understandable in the circumstances of a very  
6 difficult fire day and no deaths or loss of property arose  
7 from it. Thank you.

8 MS DOYLE: A brief reply, Commissioners.

9 CHAIRMAN: Dr Lyon, I take it you do not wish to say anything?

10 DR LYON: I have nothing to add.

11 CHAIRMAN: Yes, Ms Doyle.

12 MS DOYLE: It would seem on balance that the State's  
13 overarching submission in response to the points made by  
14 counsel assisting in relation to the Churchill fire is  
15 that we have relentlessly criticised a failure to comply  
16 with some paperwork. It's all just about red tape, no  
17 actual harm was done, no need to concern yourselves with  
18 it.

19 The answer I give to that is the criticisms that  
20 have been made by counsel assisting are more substantive  
21 than some paperwork or ticking some boxes. Sometimes the  
22 matters that we have addressed find their expression in  
23 guidelines, paperwork and plans, as most things do in  
24 modern life. They find their expression or their content  
25 in a document or ultimately a manual. But our complaint  
26 is not that an isolated occurrence came about where  
27 somebody departed from a particular standard operating  
28 procedure or that somebody forgot to tick a particular box  
29 on a form in triplicate.

30 Our criticism is that there were substantive  
31 failures, which I won't repeat, which identify the fact

1 that there is perhaps a broader failure and lessons to be  
2 learned. Mr Lockwood didn't choose to be appointed.  
3 I made that point at the outset. But a system and a level  
4 of resourcing existed such that he was in a position where  
5 he needed to take control, as it turns out, of two fires,  
6 and in relation to Mr Myers' emphasis of paragraph 7  
7 I don't disagree with a single word in it. It just  
8 underscores the fact that a guy who was only level 2 found  
9 himself in charge of two significant fires on the day.  
10 I don't see how that helps the State's position.

11 Equally it seems there were some deficits in  
12 people's understanding and probably training in terms of  
13 the way they understand and use important documents like  
14 spot fire weather forecasts. Now, Commissioners, you may  
15 ultimately accede to the State's suggestion that you not  
16 name individuals. It is hard to see how one would analyse  
17 the events of the day without understanding that there  
18 were individuals who did or did not do things, so  
19 naturally they have been named in the submissions in that  
20 context. But when you go to the proposed key findings,  
21 you will find that the responsibilities are always sheeted  
22 home to the team and to the overarching system, and that  
23 is the way in which we have put our submissions and the  
24 way in which systemic issues will also be addressed later  
25 on in the hearings.

26 Further in relation to this matter about these  
27 being mere complaints about paperwork and that no actual  
28 harm came from the events, I make this submission. Surely  
29 actual harm is not the test. It certainly isn't under the  
30 terms of reference which guide the work of this  
31 Commission.

1           There is no suggestion in those broad terms of  
2 reference that you are restricted to analysing, passing  
3 comment on or making recommendations in relation to events  
4 where actual harm was caused. The terms of reference are  
5 far broader than that and they invite exploration of all  
6 places where improvements could be made, including those  
7 instances that the State accepts, as they do on a number  
8 of occasions in their written submission, and those that  
9 they don't accept, and those that they argue in this  
10 forum. In neither case is it essential for you to find  
11 that there was actual harm.

12           In fact, on a number of occasions in these  
13 submissions counsel assisting make the point, "Thank  
14 goodness no firefighters were killed." But that shouldn't  
15 mean that we desist from analysing the circumstances in  
16 which they were given the wrong message and the  
17 circumstances in which the IMT effectively sat on better  
18 information that could have been provided to them.

19           If there is a lesson to be learned, it is open to  
20 you to consider it, and if there is a lesson to be  
21 learned, it is open to you to recommend it. Those are our  
22 submissions in reply.

23 CHAIRMAN: Thank you, Ms Doyle. I take it it is now  
24 contemplated we will adjourn until 9.30 tomorrow.

25 MS DOYLE: And we will comfortably finish the other fires  
26 tomorrow.

27 CHAIRMAN: Yes. Thank you.

28 ADJOURNED UNTIL WEDNESDAY, 3 FEBRUARY 2010 AT 9.30 AM